

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE WATER RESOURCES CONTROL BOARD

PUBLIC HEARING

CALIFORNIA DEPARTMENT OF FISH AND GAME'S
LOWER YUBA RIVER FISHERIES MANAGEMENT PLAN

AND A COMPLAINT BY

THE UNITED GROUP AGAINST YUBA COUNTY WATER AGENCY
AND OTHER DIVERTERS OF WATER FROM THE LOWER YUBA RIVER
IN YUBA COUNTY

WEDNESDAY, MAY 17, 2000

PAUL R. BONDERSON BUILDING

SACRAMENTO, CALIFORNIA

9:00 A.M.

REPORTED BY:

ESTHER F. WIATRE
CSR NO. 1564

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES

HEARING OFFICER:

JOHN BROWN

COUNSEL:

DANIEL N. FRINK, ESQ.

STAFF:

ALICE LOW
ENVIRONMENTAL SPECIALIST

ERNEST MONA
ENGINEER

---oOo---

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

REPRESENTATIVES

YUBA COUNTY WATER AGENCY:

BARTKIEWICZ, KRONICK & SHANAHAN
1011 Twenty-Second Street
Sacramento, California 95816
BY: ALAN B. LILLY, ESQ.

BROWNS VALLEY IRRIGATION DISTRICT:

BARTKIEWICZ, KRONICK & SHANAHAN
1011 Twenty-Second Street
Sacramento, California 95816
BY: RYAN BEZERRA, ESQ.

SOUTH YUBA WATER DISTRICT &
CORDUA IRRIGATION DISTRICT:

MINASIAN, SPRUANCE, BABER, MEITH, SIARES & SEXTON
1681 Bird Street
Oroville, California 95965
BY: PAUL R. MINASIAN, ESQ.

CALIFORNIA DEPARTMENT OF WATER RESOURCES:

DAVID A. SANDINO, ESQ.
1416 Ninth Street, Room 1138-2
Sacramento, California 95814

SOUTH YUBA RIVER CITIZENS LEAGUE:

LAWRENCE D. SANDERS, ESQ.
216 Main Street
Nevada City, California 95959

CALIFORNIA SPORTFISHING PROTECTION ALLIANCE:

ROBERT J. BAIOCCHI
P.O. Box 1790
Graegle, California 96103

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

REPRESENTATIVES

BROPHY WATER DISTRICT:

DANIEL F. GALLERY, ESQ.
929 J Street, Suite 505
Sacramento, California 95814

WESTERN WATER COMPANY &
WESTERN AGGREGATES, INC.:

KRONICK, MOSKOVITZ, TIEDEMANN & GIRARD:
400 Capitol Mall, 27th Floor
Sacramento, California 95814
BY: SCOTT A. MORRIS, ESQ.

NATIONAL MARINE FISHERIES SERVICE:

STEVEN A. EDMONDSON
777 Sonoma Avenue, Room 325
Santa Rosa, California 95404

CALIFORNIA DEPARTMENT OF FISH & GAME:

OFFICE OF THE ATTORNEY GENERAL
1301 I Street, Suite 1101
Sacramento, California 95814
BY: WILLIAM D. CUNNINGHAM, ESQ.

UNITED STATES DEPARTMENT OF THE INTERIOR:

REGIONAL SOLICITORS OFFICE
2800 Cottage Way, E-1712
Sacramento, California 95825
BY: EDMUND GEE, ESQ.

WALTER COOK:

WALTER COOK
42 Northwood Commons
Chico, California 95973

---oOo---

1	INDEX	
2		PAGE
3		
4	RESUMPTION OF HEARING:	2999
5		
6	YUBA COUNTY WATER AGENCY:	
7	CONTINUED REBUTTAL:	
8	STUART ROBERTSON:	
9	DIRECT EXAMINATION BY:	
10	MR. LILLY	2999
11	DONN WILSON:	
12	DIRECT EXAMINATION BY:	
13	MR. LILLY	3007
14	PANEL:	
15	CROSS-EXAMINATION BY:	
16	MR. GEE	3024
17	MR. CUNNINGHAM	3030
18	MR. SANDERS	3038
19	MR. COOK	3044
20	STAFF	3066
21	REDIRECT EXAMINATION BY:	
22	MR. LILLY	3089
23	REBUTTAL TESTIMONY:	
24	SOUTH YUBA WATER DISTRICT:	
25	DIRECT TESTIMONY BY:	
26	MR. MINASIAN	3101
27	CROSS-EXAMINATION BY:	
28	MR. COOK	3103
29	MR. LILLY	3108
30	MR. GEE	3108
31	---oOo---	
32		
33		
34		
35		

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

SACRAMENTO, CALIFORNIA

WEDNESDAY, MAY 17, 2000, 9:00 A.M.

---oOo---

HEARING OFFICER BROWN: Come to order.

Mr. Lilly.

MR. LILLY: Thank you, Mr. Brown. We have a report that Mr. Minasian is stuck in traffic due to an accident on the highway he drives in on. So, I think, the best procedure is for us to go back to our witnesses and then he can go back to his exhibits when he gets here, if that is acceptable to you.

H.O. BROWN: Proceed.

MR. LILLY: We have just two remaining rebuttal witnesses, and it us up to you whether you want to have them as a panel or separate. There is no overlap between their testimony. They are both very short witnesses. This might be just more efficient and quicker if you have them testify on direct and both be subject to cross.

H.O. BROWN: That will be fine.

---oOo---

DIRECT EXAMINATION OF YUBA COUNTY WATER AGENCY

BY MR. LILLY

MR. LILLY: We will start with you, Mr. Robertson. First of all, Mr. Robertson, have you taken an oath in this hearing already?

1 MR. ROBERTSON: Yes, I have.

2 MR. LILLY: You understand you are still subject to
3 that oath that you took earlier in this hearing?

4 MR. ROBERTSON: Yes, I am.

5 MR. LILLY: During the hearing, I know it's been quite
6 some time since we had our direct testimony, the staff asked
7 Mr. Grinnell and you several questions regarding the
8 historical and future demands for water from the Yuba River.
9 I am now going to ask you some follow-up questions.

10 After the staff asked you questions regarding the
11 relationship between historical diversions and future
12 demands, did you investigate the recent trends of irrigated
13 acreage in Yuba County?

14 MR. ROBERTSON: Yes, I did.

15 MR. LILLY: Specifically, did you investigate?

16 MR. ROBERTSON: I reviewed the Agriculture
17 Commissioner's reports and the data that came out of those
18 for irrigated acreage.

19 MR. LILLY: Go ahead.

20 MR. ROBERTSON: Those reports include all the irrigated
21 acreage in Yuba County. Both irrigated from the groundwater
22 and surface water.

23 MR. LILLY: Do those reports accurately describe all of
24 the irrigated acreage in Yuba County?

25 MR. ROBERTSON: They are not a direct survey of lands.

1 What they are, they collect voluntary information from the
2 landowners and then use statistical tests to make sure they
3 are on track. It is not a direct survey of the irrigated
4 land.

5 MR. LILLY: It is not like the U.S. census, then, for
6 an analogy to population?

7 MR. ROBERTSON: I would say it's not like that, no.
8 And it is not like the land use surveys that were done by
9 DWR and Bookmen-Edmonston back in the early '90s.

10 MR. LILLY: Are the county Ag Commissioner's irrigated
11 acreage figures, nevertheless, useful to determine trends
12 regarding irrigated acreage in Yuba County?

13 MR. ROBERTSON: Yes. Because the data's collected on a
14 consistent basis over a long period of time, they provide a
15 good reference in which to gauge other studies.

16 MR. LILLY: If you could please put S-YCWA Exhibit 29
17 up on the overhead projector, and this exhibit was
18 distributed at the hearing approximately two weeks ago.

19 Please tell us what this exhibit is.

20 MR. ROBERTSON: This exhibit displays the irrigated
21 acreage in Yuba County over -- since 1984 when the South
22 Yuba Canal came into operation. The dots show the actual
23 data, and then the line indicates the trend of that data
24 throughout the historical period projected out into the
25 future.

1 MR. LILLY: Just so we are clear, when you say dots,
2 are you referring to the squares?

3 MR. ROBERTSON: The little squares.

4 MR. LILLY: What does the trend line show?

5 MR. ROBERTSON: The trend line shows that irrigated
6 acreage increasing on the order of a thousand to 1,100 acres
7 per year on a whole with an ultimate irrigated acreage at
8 year 2020 of about 11- -- about 111,000 acres.

9 MR. LILLY: Just for reference purposes, how does that
10 compare to the total number of acres that are potentially
11 irrigable within Yuba County?

12 MR. ROBERTSON: There is over 200,000 acres that are
13 available that are irrigable in Yuba County. Some of that
14 may not be irrigated because of economics, but it is still
15 irrigable land.

16 MR. LILLY: So, basically, even with the 2020
17 prediction, you are still in the neighborhood of 50 percent
18 or slightly over 50 percent of potentially irrigable lands
19 within Yuba County?

20 MR. ROBERTSON: That's correct.

21 MR. LILLY: Could you please put up S-YCWA-30 on the
22 projector and tell us what that is.

23 MR. ROBERTSON: This chart displays the irrigation
24 demand developed from the irrigated acreage using standard
25 applied water rates, and it also shows the historical water

1 use, the use from diversions from the Yuba River and
2 compares those with our projections we used for the
3 operations simulations.

4 MR. LILLY: You probably need to just go over, for the
5 uninitiated like me, a little more information. If we look
6 at the top bars and the sloped line that goes from about 330
7 on the left up to about 600 on the right, what is that line
8 showing and what are the tops of those bars that that line
9 goes through showing?

10 MR. ROBERTSON: The tops of the bars show the total
11 irrigation demand for the irrigated acreage over the
12 historical period.

13 MR. LILLY: Just to clarify, that is total irrigated
14 acreage within Yuba County?

15 MR. ROBERTSON: Yes. That is irrigated acreage within
16 Yuba County. The tops of the bars show the total irrigation
17 demand year by year as you go out to the present. And then
18 the line is a fit through those points projected out into
19 the future.

20 MR. LILLY: Now go forward and tell us what the shaded
21 bars which are down lower than the total bars show.

22 MR. ROBERTSON: Those show the historical diversion
23 demand from the Yuba River and how they have changed over
24 time. You will note that the demand starts out in the order
25 of 150,000 acre-feet up until about 1984; then after that

1 this is still a trend line increasing after which the
2 demands have averaged in the order of 250,000 acre-feet,
3 but the trend is still on the increase.

4 MR. LILLY: Finally, you have two darker bars shown for
5 what looks like about the year 2001, 2002, and then again
6 for 2020. What are those?

7 MR. ROBERTSON: Those are our projected Yuba River
8 demands or demands for diversion from the Yuba River for
9 irrigation in Yuba County.

10 MR. LILLY: Are those the numbers that you previously
11 testified to?

12 MR. ROBERTSON: Those are the numbers that were
13 developed from the planned irrigated acreage served by the
14 districts taking surface water from the Yuba River, and
15 those were the ones -- those are the demands that are the
16 basis for the simulation studies performed by
17 Bookmen-Edmonston.

18 H.O. BROWN: The difference between those two bars is
19 groundwater?

20 MR. ROBERTSON: Yes. Groundwater and other small
21 surface water diversions from what accrue from the creeks.
22 Principally groundwater.

23 MR. LILLY: Just to clarify, Mr. Robertson, when you
24 say the difference between the two bars, that is the top
25 part of each bar that is outlined, but then is not shaded in

1 for each of the years.

2 MR. ROBERTSON: Correct. The lower portions of these
3 curves down in here are all surface water diversions. The
4 residual demand up here are supplies that were derived from
5 either surface water or groundwater. Principally
6 groundwater.

7 MR. LILLY: When you say up here or down here, our
8 record is not clear. The ones you say principally from
9 groundwater, that is what is depicted on the graph with a
10 key, alternative supplies and reuse?

11 MR. ROBERTSON: Correct. Also there is demand along
12 the Feather River and the Bear that are within Yuba County.
13 So some of those demands that are met from other than Yuba
14 County water demands are from the Feather River and the
15 Bear.

16 MR. LILLY: Those are included within the bars that say
17 alternative supplies and reuse?

18 MR. ROBERTSON: That is correct.

19 MR. LILLY: Now, based on the information presented in
20 Exhibit S-YCWA-30 and your prior analyses, what is your
21 opinion regarding the accuracy of your estimates that you
22 previously prepared for the present level of demands and
23 future levels of demands for irrigation water from the Lower
24 Yuba River?

25 MR. ROBERTSON: Comparing the historical diversions

1 with the present level demands indicates that our demand for
2 the present or near term are equal to, if not slightly
3 below, what the demand will be in the near term. If we
4 look out into the future, the trend line is for increased
5 use of other sources as compared to what we have termed full
6 diversion demand. So the demands that have been used in the
7 simulation studies are sufficient, if not lower, than they
8 might actually be in the future.

9 MR. LILLY: You are saying that the actual demand for
10 surface water supplies from the Yuba River might go higher
11 than those that you have estimated?

12 MR. ROBERTSON: Correct. What we have used in our
13 studies are what we have termed for full development are for
14 economically developable lands that are served within the
15 existing districts. Some of those areas may, in fact, as
16 different crop types come in be economically developable
17 that were not included.

18 MR. LILLY: There may be additional economically
19 developable acres?

20 MR. ROBERTSON: That's correct.

21 MR. LILLY: Just to put this all in the big picture.
22 Do any of the numbers depicted in Exhibit S-YCWA-30 contain
23 any demands for municipal or industrial uses of water?

24 MR. ROBERTSON: No, they do not. They are only
25 irrigation demands.

1 MR. LILLY: What types of municipal or industrial
2 demands for Yuba River water may occur in the future?

3 MR. ROBERTSON: There are some poor groundwater quality
4 problems in the Linda area and Wheatland area where they are
5 going to need to develop surface supplies for their
6 municipal uses and the growth of municipal use there.
7 Additionally, in the foothill areas much of the development
8 is starting to occur up in those areas because of flood
9 threats. And as a result, the demands are projected to
10 increase in that area for municipal uses.

11 MR. LILLY: What is the groundwater supply situation in
12 the foothill areas?

13 MR. ROBERTSON: There are no groundwater supplies in
14 the foothill areas. Very limited groundwater supplies.

15 MR. LILLY: So the logical supplies for that potential
16 future development is surface water from the Yuba River?

17 MR. ROBERTSON: That's correct.

18 MR. LILLY: I have no further questions for you, Mr.
19 Robertson. I will shift over to you, Mr. Wilson.

20 Just to remind you, did you previously take the oath in
21 this hearing?

22 MR. WILSON: Yes, I did.

23 MR. LILLY: Just to remind you, you are still subject
24 to that oath for these questions today.

25 Mr. Wilson, there were some questions asked of several

1 witnesses during the direct evidence part of this case
2 regarding the migration of adult salmon up in the Yuba
3 Goldfields, and I am just going to ask you follow-up
4 questions on that testimony.

5 What is the resources agency's present policy regarding
6 allowing or encouraging migration of adult salmon into the
7 Yuba Goldfields?

8 MR. CUNNINGHAM: I am sorry, Mr. Wilson. As much as I
9 respect his credentials, is not qualified to make statements
10 about resource agency's policies. He has not been qualified
11 as a member of the resources agency. If he wants to opine
12 as to his own knowledge, but, I am sorry, this goes beyond
13 the current qualification of this witness. If Mr. Lilly
14 wants to lay a foundation -- I object to at present, there
15 is a lack of foundation.

16 MR. LILLY: I will lay a foundation. I am trying to
17 move things along. If counsel wants me to, I will.

18 H.O. BROWN: Today we are in no hurry. We are going
19 to finish up today, I think.

20 MR. LILLY: Mr. Wilson, have you ever had any
21 conversations with representatives of the Department of Fish
22 and Game, United States Fish and Wildlife Service or the
23 National Marine Fishery Service regarding those agencies'
24 policy on migration of salmon into the Yuba Goldfields?

25 MR. WILSON: Been a number of discussions, not sure

1 it's -- classifying them as statements of policy. But
2 statements of their intent and practices.

3 MR. LILLY: Have you personally participated in those
4 discussions as far as hearing what they have said?

5 MR. WILSON: Yes.

6 MR. LILLY: Rather than going through every single
7 conversation, can you make a general statement regarding
8 what the representatives of the resource agencies have said
9 to you regarding migration of adult salmon in the Yuba
10 Goldfields?

11 MR. WILSON: In recent years it's been the consensus
12 from my observations that they would like to exclude adult
13 salmonids from entering the Goldfields.

14 MR. LILLY: That is specifically from migrating up from
15 the Yuba River up the discharge stream that discharge out of
16 the Goldfields?

17 MR. WILSON: Correct.

18 MR. LILLY: What actions are presently being taken to
19 prevent adult salmonids from migrating into the Yuba River
20 from the Goldfields?

21 MR. WILSON: There are two major return points to the
22 Yuba River from the Goldfields. There is a number of minor
23 returns and seepage from banks. The major surface returns,
24 the lowest one is a channel that passes through an
25 individual by the name of Bud Plant's property. And last

1 year at the outlet to that he installed a bar screen over
2 the outlet on a discharge into the culvert.

3 It is my understanding that Department of Fish and Game
4 is currently working I believe with the Department of Water
5 Resources for the design of a barrier on the primary outlet
6 back to the Yuba River which is about approximately a mile
7 or three-quarters of a mile below Daguerre Point Dam.

8 MR. LILLY: That would be a barrier that would allow
9 the water to flow out, but not allow fish to swim in?

10 MR. WILSON: That is my understanding.

11 MR. LILLY: There were questions regarding the amounts
12 of water that flow through and out of the Goldfields. Do
13 the flows in the Yuba River affect the amounts of water that
14 discharge from the Goldfields back into the river?

15 MR. WILSON: Yes, they do. The Goldfields are
16 adjacent to the river. Material's generally fairly porous,
17 high permeability and the levels in the Goldfields generally
18 rise and fall with the levels of the river. As the river
19 comes up, more water is flowing through the Goldfields and
20 finds it way back to the river.

21 MR. LILLY: When you say the levels in the Goldfields,
22 you are talking about the levels of water?

23 MR. WILSON: The surface, the exposed ponds or flows of
24 water going through the Goldfields. The surface elevations
25 rise and fall in close correlation to the level of the --

1 surface level of the river.

2 MR. LILLY: Now, questions have also been asked
3 regarding affect of diversions of water from the Goldfields
4 into the South Yuba Canal. How do those diversions affect
5 the amounts of water that discharge from the Goldfields?

6 MR. WILSON: They reduce the amount of water returning
7 to the river. Generally, the conveyance system that crosses
8 north to south through the Goldfields intercepts with --
9 first it crosses the Goldfields. In so doing, it intercepts
10 the various flows that are coming down from upstream and
11 utilizes a portion of that water for the irrigation supply
12 to the south. And depending on the level of the river,
13 generally, between a hundred and 200 cfs can be intercepted
14 and diverted out of the Goldfields without opening any gates
15 to the river. This amount through the irrigation season
16 usually amounts to somewhere in the 30,000 acre-feet range.

17 MR. LILLY: Just to clarify, except for the actual
18 diversions at Daguerre Point Dam, is the general flow of
19 water in the Goldfields that seeps out of the river and back
20 into the river, is that east to west flow through the
21 Goldfields?

22 MR. WILSON: Generally so, yes.

23 MR. LILLY: Mr. Wilson, there were also questions
24 regarding the uses of Yuba River water by the Dry Creek
25 Mutual Water Company. What water conservation measures are

1 being taken with respect to this water?

2 MR. WILSON: The bulk of the acreage in Dry Creek
3 Mutual Water Company is in walnuts. Historically, the owner
4 groves have been on low sprinklers and the newer orchards
5 that are going in are being put in with micro sprinklers, so
6 it is pretty efficient utilization of water.

7 MR. LILLY: Is there also rice being produced in the
8 service area of Dry Creek?

9 MR. WILSON: There is some. There is a portion north
10 of Dry Creek that is generally in rice and that then is
11 traditional practices in regards to rice.

12 MR. LILLY: Where does the tailwater from the rice
13 fields go?

14 MR. WILSON: That comes back into the natural channels
15 that traverse the district and is picked up for reuse,
16 generally.

17 MR. LILLY: So it is basically diverted and reused
18 again?

19 MR. WILSON: Yes, the bulk of it.

20 MR. LILLY: During the south Yuba River Citizens League
21 testimony there was some discussion about flow fluctuations
22 in the Lower Yuba River that occurred as the result of
23 outages at the Narrows 2 Powerhouse. I am going to ask you
24 about some specific dates. I think there were four dates
25 mentioned in the South Yuba River Citizens testimony and

1 just ask you to go through those.

2 The first was April 9, 1998, and if you can tell me
3 what caused the outage on that date.

4 MR. WILSON: This was a trip, which means that at our
5 Narrows 2 hydroplant, which means that the unit was
6 separated from the system, and then by the automatic
7 safeguards the unit was shut down. This was caused -- there
8 are a number of safeguards in the methods to separate the
9 unit from the transmission system.

10 MR. LILLY: Excuse me, could you just clarify. When
11 you say "separated," are you talking about an electrical
12 separation?

13 MR. WILSON: By the opening of the switch or circuit
14 breaker. And the reason for this is, is that the unit is
15 working very hard trying to produce energy and supply it to
16 the system, and all of a sudden the system -- there is no
17 place to put that energy. The unit wants to accelerate in
18 speed. And if you don't separate it and get the load off of
19 it, the unit will accelerate and eventually destroy itself.

20 MR. LILLY: By accelerate, the turbine will spin faster
21 and faster?

22 MR. WILSON: Unless the safeguards kick in fast enough
23 and you separate the load fast enough, you potentially will
24 accelerate to a point where you destroy the unit.

25 MR. LILLY: What happened on April 9th?

1 MR. WILSON: Regarding April 9th, as part of the
2 safeguards there is a transfer trip, which means it remotely
3 -- if the transmission line gets separated or it goes down,
4 for whatever reason or incurs a disturbance, by microwave
5 the unit can be separated from the transmission system. And
6 in this case it appears that there was a interference on the
7 microwave system which was interpreted by the devices at the
8 plant as a trip signal, and so it tripped the unit and shut
9 it down.

10 Since then to ensure that we reduce the chance of this
11 happening again, we have changed the system so it takes,
12 instead of a single system to shut it down, it takes two
13 separate signals to this.

14 MR. LILLY: Two separate microwave signals?

15 MR. WILSON: It takes two separate signals, two
16 different tone signals over the microwave.

17 MR. LILLY: The next one that was mentioned by South
18 Yuba River Citizens League was April 14, 1998.

19 What happened on that date?

20 MR. WILSON: This case the PG&E transmission system was
21 taken out by lightening, so in the -- our unit tripped off
22 the line once the transmission line was lost.

23 MR. LILLY: Did the Yuba County Water Agency cause the
24 lightning strike?

25 MR. WILSON: Not that I am aware of.

1 MR. LILLY: The next one referred to by South Yuba
2 Citizens League was an event on August, they said, on August
3 12th, 1998.

4 Could you elaborate on what really happened there?

5 MR. WILSON: By our records it was August 7th. But in
6 that case, again, it was a problem with the PG&E
7 transmission line. A hawk got -- crossed two lines and took
8 the transmission system out again.

9 MR. LILLY: Tripped the circuit breaker?

10 MR. WILSON: Correct.

11 MR. LILLY: That caused the automatic shutdown of the
12 turbine to avoid mechanical failure?

13 MR. WILSON: Correct.

14 MR. LILLY: Finally, there was reference in the South
15 Yuba River Citizens League testimony to a similar flow
16 fluctuation on November 11, 1998.

17 What do you have to say about that?

18 MR. WILSON: That one I don't recall.

19 MR. LILLY: Your records do not show any major flow
20 fluctuation on that date?

21 MR. WILSON: Correct.

22 MR. LILLY: You have mentioned the microwave signaling.
23 Have you taken measures to avoid getting false signals?
24 Obviously, the lightning is something beyond your control.
25 Could you just describe what the agency or PG&E has done

1 regarding that incident, like the hawk incident, to try to
2 reduce the probability of such similar events in the future?

3 MR. WILSON: PG&E has had an ongoing program to try and
4 retroproof their transmission line for the protection of the
5 rafters, but also to reduce the incidence of failure in the
6 area where they've experienced -- this latest incident with
7 the hawk. They did additional work to rafter proof their
8 transmission lines.

9 Some of the things that we have done in the plant,
10 there are two levels of shutdown. If the unit can be slowed
11 down soon enough and doesn't sense a major overspeed, it
12 will go to a speed no-load condition, which is the unit will
13 continue to -- it drops the load, but it will continue to
14 run and bypass some water, a lesser amount of water, but not
15 go into full shutdown. If it goes to that mode of shutdown,
16 it can be remotely started once it's determined what the
17 problem is in a very short order.

18 The other method of shutdown, it goes into a full
19 lockout shutdown and in that case it cannot be restarted
20 until somebody is at the plant; and in that case the gates,
21 the reservoir, also close. So they have to be reopened.
22 That is usually an hour-plus process to get it restarted.

23 To try and limit the number of times when it goes to
24 full shutdown and try and -- if we do get tripped off line
25 and get it to stay in a same mode basis, we have changed out

1 the speed sensing mechanism over to a mechanical mechanism
2 and have gone to a laser scanning speed sensing method that
3 supposedly will -- so far by our experience has limited the
4 number of times of full shutdown.

5 MR. LILLY: Now I am going to shift to another topic.
6 During other party's testimony during this hearing there was
7 some discussion about the effect of the agency's 1991 water
8 transfer on redds in the Lower Yuba River. I just want to
9 make sure our record is clear on this.

10 When the Agency originally prepared the -- made the
11 preparation for that transfer, what month was that transfer
12 going to occur?

13 MR. WILSON: Well, we originally scheduled the transfer
14 to take place during July and August.

15 MR. LILLY: What months did the transfer ultimately
16 take place?

17 MR. WILSON: It ended up in September and October. We
18 started first in September and terminated the transfer on
19 the 15th of October.

20 MR. LILLY: Why was the timing of that transfer changed
21 from the July/August period to the September/October?

22 MR. WILSON: This was at the request of Department of
23 Fish and Game. It is my understanding that there was some
24 concern by some of their biologists with the impacts on the
25 Delta in regard to striped bass.

1 MR. LILLY: Since 1991, has the Yuba County Water
2 Agency made any out-of-county transfers during September or
3 October?

4 MR. WILSON: No.

5 MR. LILLY: Finally, during other party's testimony for
6 this hearing, there was some discussions of comparisons
7 between the American River watershed and the Yuba River
8 watershed. I am just going to ask you whether there, in
9 fact, are some significant differences between those two
10 watersheds.

11 First of all, is there a difference regarding the
12 location of the largest reservoir in each watershed?

13 H.O. BROWN: Mr. Cunningham.

14 MR. CUNNINGHAM: Mr. Brown, I am not sure, I don't
15 remember this witness ever being qualified as a hydrologist
16 or watershed hydrologist. It is my understanding that Mr.
17 Wilson is part of the management scenario for Yuba County
18 Water Agency. And is there a foundation to be laid that he
19 has personal knowledge of hydrologies of other watersheds in
20 California?

21 H.O. BROWN: Thank you, Mr. Cunningham.

22 Mr. Lilly.

23 MR. LILLY: Mr. Wilson's resume was submitted. He is a
24 civil engineer with numerous, I can't even count how many,
25 years of experience in water project operations. Obviously,

1 he is very familiar with the Yuba River watershed. And I
2 think by asking the question he can answer whether or not he
3 has any familiarity with the American River watershed.
4 These are general questions to show that the prior
5 testimony, I believe from Felix Smith, ignores some very
6 significant factors. It is almost common knowledge about
7 where the locations of Folsom Reservoir are and, obviously,
8 Mr. Wilson has extensive knowledge regarding the location of
9 New Bullards Bar Reservoir.

10 If you want to satisfy Mr. Cunningham's objection, I
11 will be glad to ask the foundational question, whether this
12 witness knows anything about the facilities in the American
13 River watershed.

14 H.O. BROWN: Mr. Cunningham.

15 MR. CUNNINGHAM: Mr. Brown, I don't appreciate the
16 cheap shots when I make a legitimate objection. This
17 witness has never testified in prior direct testimony about
18 his knowledge of any other watershed other than Yuba River
19 and Yuba County Water Agency associated district. I do
20 think it's appropriate that a foundation be laid. If this
21 is of common knowledge, fine. If they are going to attempt
22 to qualify Mr. Wilson now as an expert in hydrology of other
23 watersheds, I would like to see something more.

24 H.O. BROWN: Thank you, Mr. Cunningham.

25 Mr. Wilson, if you have an opinion, you can offer that

1 opinion to the question. If you have an expert answer to
2 it, then you may qualify it or Mr. Lilly may set the
3 foundation for your qualifications depending upon your
4 answer.

5 Reask the question, whether it is an opinion or expert
6 civil engineer responding to your question, Mr. Lilly.

7 MR. LILLY: Mr. Wilson, first of all, are you familiar
8 with the location of largest -- let me ask it this way:

9 Are you familiar with the major water project
10 facilities in the American River watershed?

11 MR. WILSON: Yes.

12 MR. LILLY: Are you familiar with the location of
13 Folsom Reservoir?

14 MR. WILSON: Yes.

15 MR. LILLY: Where is Folsom Reservoir located if it is
16 in the American River watershed, in general terms?

17 MR. WILSON: It's downstream of all of -- the main
18 stems of the American River have come together and it is the
19 lowest major storage reservoir. There is a regulating,
20 small regulating, reservoir downstream from Folsom, but
21 Folsom is the lowest major storage reservoir on the American
22 River.

23 MR. LILLY: Due to that location, does a very large
24 percentage of total unimpaired flow from the American River
25 flow through Folsom Reservoir?

1 MR. WILSON: Correct.

2 MR. LILLY: Are you familiar with the location of New
3 Bullards Bar Reservoir in the Yuba River watershed?

4 MR. WILSON: Yes.

5 MR. LILLY: If you could, just by way of comparison,
6 describe in general terms the percentage of unimpaired flow
7 from the Yuba River watershed that flows through New
8 Bullards Bar Reservoir.

9 MR. WILSON: New Bullards Bar is on the North Yuba.
10 There are two additional stems of the main stems of the Yuba
11 River that flow in below Bullards. The North Yuba produces
12 approximately 50 percent of the unimpaired runoff of the
13 Yuba River system.

14 MR. LILLY: What are the two other forks in the Yuba
15 River system?

16 MR. WILSON: The two stems are the Middle Yuba and the
17 South Yuba.

18 MR. LILLY: Does any water from the South Yuba flow
19 into New Bullards Bar Reservoir?

20 MR. WILSON: No.

21 MR. LILLY: Does any water from the Middle Fork of the
22 Yuba River flow into New Bullards Bar Reservoir?

23 MR. WILSON: Yes. Yuba County Water Agency has a
24 diversion dam on the Middle Yuba and does divert water from
25 the Middle Yuba into New Bullards Bar.

1 MR. LILLY: But does that diversion dam and the related
2 diversion tunnel allow the Agency to divert the entire flow
3 of the Middle Fork of the Yuba River into New Bullards Bar
4 Reservoir?

5 MR. WILSON: No, it does not.

6 MR. LILLY: Why is that?

7 MR. WILSON: There are fish flow requirements
8 downstream which have to be met before any diversion is
9 made. And in addition to that, in the wetter years a large
10 portion of the flow is in excess of the tunnel capacity.

11 MR. LILLY: The other -- another significant difference
12 I would like to discuss with you is the out-of-basin
13 exports.

14 First of all, are you familiar with the amounts of
15 water that are exported out of the Upper Yuba River
16 watershed before that water can flow down to either New
17 Bullards Bar Reservoir or Englebright Reservoir?

18 MR. WILSON: Yes.

19 MR. LILLY: In rough terms, what is the approximate
20 number of acre-feet per year that is exported out of the
21 Yuba River watershed?

22 MR. WILSON: On the average, in the range of 600,000
23 acre-feet.

24 MR. LILLY: Are you familiar with whether or not there
25 is exports of that magnitude going out of the Upper American

1 River watershed?

2 MR. WILSON: I am not aware of any of that magnitude.

3 MR. LILLY: In fact, does some of the Yuba River water
4 that is exported out of the Upper Yuba River watershed go
5 into the American River watershed?

6 MR. WILSON: Yes. Waters diverted principally out of
7 South Yuba approximately on the average of around a hundred
8 thousand acre-feet a year enter the American River.

9 MR. LILLY: Finally, just going to ask you about fish
10 hatcheries.

11 Do you have knowledge as to whether or not there is a
12 fish hatchery on the American River?

13 MR. WILSON: Yes, there is. At Nimbus, I believe.

14 MR. LILLY: Where is Nimbus Dam located?

15 MR. WILSON: It's downstream of Folsom.

16 MR. LILLY: Is it basically the lowest dam on the
17 American River?

18 MR. WILSON: Correct.

19 MR. LILLY: Is there any fish hatchery on the Yuba
20 River?

21 MR. WILSON: There is none.

22 H.O. BROWN: Question on that hundred thousand that is
23 diverted into the American River. Is that PCWA contract or
24 PG&E?

25 MR. WILSON: It is a combination of several. Part is

1 PG&E and part of it is PCWA. It comes across through the
2 drum system, principally.

3 H.O. BROWN: Thank you.

4 MR. LILLY: Just -- I know both of you know this, but
5 just so our record is clear.

6 What is PCWA?

7 MR. WILSON: Placer County Water Agency.

8 MR. LILLY: What is PG&E?

9 MR. WILSON: Pacific Gas and Electric Company.

10 MR. LILLY: Thank you, Mr. Wilson.

11 I have no further questions. These two witnesses are
12 available for cross-examination.

13 H.O. BROWN: Thank you, Mr. Lilly.

14 Mr. Gee.

15 MR. GEE: Mr. Brown.

16 ----oOo----

17 CROSS-EXAMINATION OF YUBA COUNTY WATER AGENCY

18 BY DEPARTMENT OF THE INTERIOR &

19 U.S. FISH AND WILDLIFE SERVICE

20 BY MR. GEE

21 MR. GEE: Mr. Robertson, Mr. Wilson, good morning, I am
22 Edmund Gee. I am an attorney for the U.S. Department of the
23 Interior. I have a few questions for both of you. I will
24 start with Mr. Robertson, first.

25 Mr. Robertson, you testified that Yuba County's

1 projected irrigation demand is increasing; is that correct?

2 MR. ROBERTSON: That's correct.

3 MR. GEE: This is what Exhibit S-YCWA 30 referred to?

4 MR. ROBERTSON: Yes.

5 MR. GEE: You say this increased future demand is based
6 on the data and projection of irrigated acreage from the
7 county Ag Commissioner; is that correct?

8 MR. ROBERTSON: That's correct.

9 MR. GEE: Do you know what assumptions regarding
10 population growth, types and quantity of crops that are
11 included in the commissioner's projection?

12 MR. ROBERTSON: The commissioner did not project
13 irrigated acreage and water use. They report what is
14 submitted voluntarily by growers.

15 MR. GEE: Do you have any information as to population
16 growth and types and quantities of crops?

17 MR. ROBERTSON: We have provided the types and
18 quantities of crops in our prior testimony. And then they
19 are in the 1992 hearing. We provided information on
20 projected population growth.

21 MR. GEE: Again, I want to refer to your Exhibit
22 YCWA-30, and I am looking at the bars and I'm looking at the
23 light portions of the bars.

24 It refers to alternative supplies and reuse; is that
25 correct?

1 MR. ROBERTSON: Yes.

2 MR. GEE: Can you define what alternative supplies and
3 reuse is? What is that comprised of?

4 MR. ROBERTSON: That is comprised of diversions from
5 other tributary streams, reuse from rediversion of
6 tailwater, groundwater supplies. I include that -- when I
7 say diversion from other streams, I'm including the Feather
8 River and the Bear.

9 MR. GEE: I am a bit confused at this point. I am
10 looking at your prior exhibit, YCWA-15A, and Table 10. That
11 table refers to the historical diversions and there is also
12 a column for groundwater pumped and there is, for a number
13 of years, listed there, 1991 and 1994, there is no number
14 listed for groundwater. And I am wondering where do you get
15 these numbers now in YCWA-30?

16 MR. LILLY: I am going to object on the grounds that
17 the other exhibit was testified to by Mr. Grinnell. If Mr.
18 Robertson has knowledge about that exhibit, that is fine.
19 He doesn't have the exhibit in front of him, and it was
20 previously testified about by Mr. Grinnell. So I think to
21 find out whether this witness knows anything about that
22 exhibit and give him a chance to look at it.

23 H.O. BROWN: Thank you, Mr. Lilly.

24 MR. GEE: I have the exhibit. I can give it to him to
25 look at. Mr. Robertson is here testifying to actual

1 demands, and these numbers, if I am correct, as to the
2 historical Yuba River diversion are based upon what was
3 previously given in Exhibit YCWA-15A. If he prepared this
4 graph and has knowledge of it, I am sure he has knowledge of
5 the other graph as well.

6 H.O. BROWN: Mr. Lilly.

7 MR. LILLY: If he does, fine. If he doesn't, not
8 fine. I think we need to find out.

9 H.O. BROWN: Show him the graph, Mr. Gee. If he has
10 knowledge of it, he can answer the question. You may do
11 so.

12 MR. GEE: Do you have YCWA-15 in front of you?

13 MR. ROBERTSON: Yes.

14 MR. GEE: Do you recognize that to be a true and
15 correct copy of Exhibit YCWA-15A?

16 MR. ROBERTSON: It appears to be.

17 MR. GEE: My question is, in S-YCWA-30 in the
18 alternative supplies and use the quantities reflected there
19 on the bars seem to be greater than what was previously the
20 information given in Exhibit 15A. I was wondering if you
21 can describe what the difference is.

22 MR. ROBERTSON: The amount shown in Table 10 of 15A are
23 groundwater transfers for exchange purposes. There is other
24 groundwater that is used within the district that is not
25 reported in -- because they did not directly impact the

1 diversions from the Yuba River.

2 MR. GEE: But as I understand YCWA-15A, the purpose of
3 that graph is to reflect historical demand; is that
4 correct?

5 MR. ROBERTSON: It was to reflect historical use of the
6 Yuba River, not demand.

7 MR. GEE: Again, looking at YCWA-30, are water
8 transfers included in the future Yuba River diversions? Are
9 they reflected there?

10 MR. ROBERTSON: No. These are diversions. These are
11 demands for irrigated acreage within Yuba County.

12 MR. GEE: If the exhibit doesn't show future water
13 transfers, do you have any knowledge as to what the future
14 projected water transfers would be as planned by Yuba County
15 Water Agency?

16 MR. ROBERTSON: No, I don't.

17 MR. GEE: Thank you, Mr. Roberts.

18 Mr. Wilson, you made a comment that in regards to
19 Narrows 2 that Yuba County Water Agency didn't cause the
20 lightning strike; is that correct?

21 MR. WILSON: Correct.

22 MR. GEE: Didn't cause the hawk to fly into the, I
23 guess, the generator to cause the system to trip?

24 MR. WILSON: Correct.

25 MR. GEE: But isn't it true that Yuba County Water

1 Agency and PG&E are responsible for what happens with
2 generators at Narrows 2 as to flows in the Yuba River
3 regardless of what the circumstances are that cause the
4 system to go off line?

5 MR. LILLY: Objection. This question calls for a legal
6 conclusion.

7 H.O. BROWN: Mr. Gee.

8 MR. GEE: I am asking for his opinion as to whether he
9 believes that Yuba County Water Agency may be responsible
10 for what happens to the generators.

11 H.O. BROWN: Mr. Lilly.

12 MR. LILLY: I am not sure that his opinion is relevant
13 to this proceeding. The law is whatever the law is. This
14 witness is not obviously a lawyer. So if that is the
15 question as restated, I object on the grounds of relevance.

16 H.O. BROWN: I will allow the question if you have an
17 opinion or any knowledge relative to that.

18 MR. WILSON: The agency has responsibility to try, to
19 the degree it has control, to comply with flow requirements
20 of the river. Each of the incidents, when we've had a trip
21 such as this and if there are deviations from the flow
22 requirements, we report these to the Federal Energy
23 Regulatory Commission.

24 In the past when there were incidents of this nature,
25 the Federal Regulatory Energy Commission has deemed that

1 these were incidents beyond our control and the actions that
2 we had taken were appropriate.

3 MR. GEE: Mr. Wilson, you mentioned degree of control.
4 Is there a bypass at Narrows 2?

5 MR. WILSON: There is. It is not a full-flow bypass.

6 MR. GEE: Would a full flow bypass eliminate the
7 problems, for instance, of a lightning strike or a hawk?

8 MR. WILSON: It would substantially reduce it.

9 MR. GEE: Thank you, Mr. Wilson.

10 H.O. BROWN: Mr. Robertson, I have one final question
11 for you. In regards to S-YCWA-30, you described assumptions
12 regarding future demands, and you didn't mention water
13 conservation. Is that correct?

14 MR. ROBERTSON: That's correct, I did not mention water
15 conservation.

16 MR. GEE: Thank you, Mr. Robertson.

17 H.O. BROWN: Thank you, Mr. Gee.

18 Mr. Cunningham.

19 MR. CUNNINGHAM: Thank you, sir.

20 ---oOo---

21 CROSS-EXAMINATION OF YUBA COUNTY WATER AGENCY

22 BY DEPARTMENT OF FISH AND GAME

23 BY MR. CUNNINGHAM

24 MR. CUNNINGHAM: Morning, Mr. Wilson, Mr. Robertson.

25 Mr. Wilson, just a couple of real quick questions for

1 you. Mr. Gee also asked about the existence of a bypass at
2 Englebright Dam as part of Yuba County Water Agency's power
3 generation system, and you indicated there was a bypass,
4 but it is not a full flow bypass.

5 Is that correct?

6 MR. WILSON: That is correct.

7 MR. CUNNINGHAM: How much is the bypass at that
8 facility capable of?

9 MR. WILSON: 650 cfs.

10 MR. CUNNINGHAM: Is there any reason, to your
11 knowledge, that a full flow bypass is not built at that
12 facility?

13 MR. WILSON: At the time the project was built, there
14 was not apparently -- the main concern was to be able to
15 meet the minimum flow requirements, and there was apparently
16 not the concern with the ramping impacts of the trip.

17 MR. CUNNINGHAM: Would a full flow bypass also be
18 useful in providing additional protection to your own
19 generation equipment at the Narrows Powerhouse?

20 MR. WILSON: It would give us a lot more flexibility in
21 being able to maintain the equipment at the time it needed
22 to be maintained.

23 MR. CUNNINGHAM: My question is: How do you maintain
24 the generator without some kind of full flow bypass?

25 MR. WILSON: Up until the listing of the species

1 recently, it hadn't been that much of a problem. It is
2 becoming a very, very major problem. It's -- in recent
3 times it is more difficult to schedule. Last year to be
4 able to meet the flow requirement, we had to put in some
5 temporary siphons over the top of Englebright to accomplish
6 the needed maintenance.

7 MR. CUNNINGHAM: Do you contemplate that the Agency may
8 actually modify your facility to include a new full flow
9 bypass?

10 MR. WILSON: Last year we spent about a little over
11 \$100,000 on a preliminary design to determine the best
12 approach to accomplishing a full flow bypass and to give us
13 an idea of the cost involved. And we currently have a
14 CalFed grant request in to do a complete final design and
15 plans for a full flow bypass.

16 MR. CUNNINGHAM: An additional question I had for you
17 about the Yuba River watershed. I do understand that New
18 Bullards Bar Reservoir is only on the North Fork. But
19 correct me if I am wrong, isn't it true that your actual
20 control and regulation of flows in the Yuba River takes
21 place at Englebright and not on New Bullards Bar?

22 MR. WILSON: We regulate; we don't control at that
23 point. A lot of times it is beyond our control at that
24 point. We do regulate it at Englebright.

25 MR. CUNNINGHAM: Is it safe to say that in part, only

1 in part, that Englebright serves essentially as an afterbay
2 to New Bullards Bar?

3 MR. WILSON: That is correct.

4 MR. CUNNINGHAM: Does anybody else have the ability to
5 regulate or control water flows at Englebright Dam other
6 than Yuba County Water Agency?

7 MR. WILSON: Pacific Gas & Electric Company.

8 MR. CUNNINGHAM: That is their own power generation
9 facility?

10 MR. WILSON: That's correct. They also have a plant
11 downstream.

12 MR. CUNNINGHAM: Does anybody other than Yuba County
13 Water Agency and Pacific Gas & Electric Company have the
14 ability to regulate flows at Englebright Dam?

15 MR. WILSON: No.

16 MR. CUNNINGHAM: Mr. Robertson, just a couple of real
17 quick questions.

18 Could I have you look at Exhibit -- South Yuba County
19 Water Agency 30 again, perhaps even put it up on the
20 overhead?

21 MR. LILLY: Excuse me, I think Mr. Cunningham misspoke.
22 I assume he means S-YCWA-30. This is not a South Yuba
23 County Water Agency exhibit.

24 MR. CUNNINGHAM: I do apologize. S-YCWA-30.

25 Mr. Robertson, in looking at the darker colored

1 portions of the bars for each of the years that have been
2 identified as historical Yuba River diversions, are these
3 actual measured diversions, to your knowledge?

4 MR. ROBERTSON: Yes.

5 MR. CUNNINGHAM: Can you tell me where the diversion
6 measuring points were for these historical flows?

7 MR. ROBERTSON: They are data collected by the Yuba
8 County Water Agency at the north -- at the principal canal
9 diversion points or for the diversion canal points.

10 MR. CUNNINGHAM: Mr. Wilson, I think you also have a
11 comment?

12 MR. WILSON: Just if there was clarification needed.

13 MR. CUNNINGHAM: Could you tell me in looking at this
14 graph, again, only looking at the historical Yuba River
15 diversion portions of the columns, what -- and perhaps I
16 will ask this question of both of you gentlemen.

17 What happened in approximately 1987? I find it
18 interesting in looking at this graph that the historical --
19 the historical flows from 1975 to about 1986 with a certain
20 amount of variation reflect a constant level of diversion
21 somewhere between 100- and about 210,000; and then in 1987
22 there is a significant increase that again seems to then
23 reflect an almost constant level of diversions from that
24 point on.

25 Do either of you gentlemen know what happened in about

1 1987?

2 MR. WILSON: Prior to '87 starting, and if you will
3 look at the significant drop, 1984 there was a significant
4 change in the rice allocation program.

5 MR. CUNNINGHAM: So to the best of your -- is it safe
6 to say that your best understanding of what happened to the
7 actual historical uses is additional rice flows were being
8 -- or rice irrigation was taking place from 1987 on and that
9 reflects the increase in historical uses?

10 MR. WILSON: There was a dramatic decrease in 1983 and
11 it started again in 1987. They went back closer to the
12 historical levels of planting.

13 MR. ROBERTSON: In addition the South Yuba Canal
14 demands were -- the South Yuba Canal supplies were --
15 diversions from that canal became a major factor.

16 MR. CUNNINGHAM: Essentially, the South Yuba Canal was
17 making full usage of their diversion capabilities?

18 MR. WILSON: They were increasing substantially.

19 MR. CUNNINGHAM: I question to you, then, Mr.
20 Robertson, you are the person -- did you actually prepare
21 this graph that I am looking at in Exhibit 30?

22 MR. ROBERTSON: Yes, I did.

23 MR. CUNNINGHAM: It is my understanding, and a question
24 I have for you, to the extent in 1986-87 some significant
25 changes both in the kinds of crops being irrigated and the

1 facilities in use taking water through the Yuba County Water
2 Agency project, all kind of arrived at a new plateau.

3 Have you projected or did you project or does any of
4 your numbers here indicate a projection of what historical
5 and what actual uses will take place based only on the
6 changes and circumstances from 1987 to the present?

7 MR. LILLY: I am going to object. That question is
8 compound and ambiguous. I think he needs to split it up
9 into parts.

10 MR. CUNNINGHAM: I will try.

11 H.O. BROWN: All right.

12 MR. CUNNINGHAM: Mr. Robertson, I see the one line you
13 have drawn which is used to project flows all the way out --
14 irrigation demands supplied all the way to the year 2020.
15 As I understand it, it consists -- the numbers used to
16 arrive at that line consists of two elements, historical and
17 projected Yuba County irrigation demands. It also includes
18 the alternative supply and reuse.

19 So the line you drew all the way up to 2020 comes out
20 to almost 600,000 acre-feet. But part of how I assume you
21 drew that line was by looking at the entire spectrum of
22 years you have available from 1975 to 19-, I guess, -99. My
23 question to you is, did you make such a projection using
24 only information from 1987 and on?

25 MR. ROBERTSON: No, I didn't. Demands typically grow

1 in blocks. And if you take any one block you are going to
2 get a different projection. The best way to do a projection
3 is to use the majority of your data unless there is
4 anomalies that have reason to exclude it. In this case
5 there were no anomalies.

6 MR. CUNNINGHAM: Mr. Robertson, do you have any reason
7 to believe that there will be other dramatic changes in
8 either crop type or facilities in use between now and the
9 year 2020?

10 MR. ROBERTSON: As I stated earlier, there is demand
11 that is going to be increasing in the foothills and so, as a
12 result, there will be -- there could be facility extension
13 into the foothills to serve those areas additionally as
14 crops become -- there are different opportunities for
15 cropping patterns that may, and I haven't investigated
16 that, but may bring in additional acreage that could be
17 developed for other higher value crops.

18 Wheatland Water District is yet another one that has
19 not taken its -- what its allocation would be from the Yuba
20 County Water Agency. Those demands are included within the
21 darkest bars shown as projection beyond 2000.

22 MR. CUNNINGHAM: To the extent you then say that these
23 irrigation demands and supplies have a tendency to jump in
24 blocks, you presuppose, I guess, there will be another block
25 jump between the present and the year 2020.

1 MR. WILSON: When you say flow fluctuations, we
2 regulate the flows through the season and change them --

3 MR. SANDERS: Unscheduled flow fluctuation events due
4 to the unit tripping off line?

5 MR. LILLY: Objection. This goes beyond the scope of
6 the direct examination. It just focused on the rebuttal --
7 it focused on events that South Yuba Citizens have brought
8 up before, and now we are expanding the scope of the
9 testimony beyond the rebuttal testimony.

10 H.O. BROWN: Mr. Sanders.

11 MR. SANDERS: Well, I perceive this to be discussion of
12 the operation of Narrows 2 which has led in the past to
13 these three specific events that Mr. Wilson testified
14 about. I did not expect to be limited merely to discussion
15 of those three events. I just have a few questions about
16 the operations which other people have already asked some
17 questions about on cross-examination.

18 H.O. BROWN: Mr. Lilly.

19 MR. LILLY: I stand by my objection.

20 H.O. BROWN: Overrule. Answer the question if you
21 can.

22 MR. WILSON: There have been several other incidents,
23 yes.

24 MR. SANDERS: If Englebright is not spilling, then the
25 entire flow of the Yuba River comes through the two

1 powerhouses; is that correct?

2 MR. WILSON: That is kind of a tough question.

3 MR. SANDERS: Let me rephrase. The entire flow might
4 be throwing you off a little bit because there are
5 definitely other sources.

6 But let's say the majority of the flow in the river
7 comes through the powerhouses; is that correct?

8 MR. WILSON: If Englebright is not spilling, any
9 releases made from Englebright goes through the two power
10 plants.

11 MR. SANDERS: I have a hypothetical. Let's say Narrows
12 2 is releasing 2500 cfs and Narrows 1 is releasing
13 nothing. And there is no spill from Englebright. Is this a
14 realistic scenario, first of all?

15 MR. WILSON: Yes.

16 MR. SANDERS: And then if Narrows 2 trips off line at
17 that moment, how much water passes into the river?

18 MR. WILSON: If we were under this operating scenario
19 and we incurred a trip, with the operating procedures we
20 have PG&E would open their Narrows 1 bypass which has
21 approximately 600 cfs. We would open the Narrows 2 bypass,
22 which has approximately 650 cfs, or you would end up with
23 about 1300 cfs.

24 MR. SANDERS: So then, there would be a virtually
25 instantaneous drop from 2,500 to 1,300?

1 MR. WILSON: At the plants it would be instantaneous.
2 As you move down the stream, the effects are attenuated
3 somewhat.

4 MR. SANDERS: What are the flow fluctuation
5 requirements in Yuba County Water Agency's FERC permits?

6 MR. WILSON: 500 cfs per hour.

7 MR. SANDERS: Does the permit have any provisions for
8 an unusual shutdown such as the one we are discussing?

9 MR. WILSON: It does not. But any time we have an
10 event we report it to FERC. And up until this date, when we
11 have had these kinds of events, they have deemed that they
12 were beyond our control and our actions were appropriate.

13 MR. SANDERS: I believe that is it.

14 Mr. Robertson, I have a couple questions about your
15 Exhibit 30.

16 If I understand how you -- YCWA's expert did their
17 modeling, you predicted demand and then gave your
18 information to Mr. Grinnell and he did the modeling based on
19 your estimate; is that correct?

20 MR. ROBERTSON: That's correct.

21 MR. SANDERS: And you testified that the projected
22 level of demand that you gave to Mr. Grinnell may have
23 actually underestimated what the future demand will be? Am
24 I saying that correctly?

25 MR. ROBERTSON: Given the information from the

1 Agricultural Commissioner's report, it would indicate that
2 the demand for irrigation would increase faster than what we
3 have projected.

4 MR. SANDERS: Mr. Grinnell modeled one number and that
5 number is actually less than what you have here on YCWA-30,
6 say, for the year 2020; is that right?

7 MR. LILLY: Objection. That misstates the prior
8 testimony. I don't think it's intentional. There clearly
9 were two different demands modeled by Mr. Grinnell, both
10 present level demand and 2020 projected future level demand.
11 So to say Mr. Grinnell modeled one number is incorrect.
12 There are actually two different numbers modeled with
13 different scenarios.

14 MR. SANDERS: I stand corrected. I was talking about
15 the projected future level of demand and not on the current
16 level of demand modeled.

17 MR. ROBERTSON: The future level of demand modeled by
18 Bookmen-Edmonston was the full development level, which
19 included the irrigation demand shown on S-YCWA-30, plus some
20 municipal industrial demand.

21 MR. SANDERS: So, YCWA-30, though, for 2020 shows a
22 projected level of demand that was higher than what was
23 modeled as the future level of demand?

24 MR. ROBERTSON: No. The dark bar shows what was --
25 shows the irrigation demand. The top portion of the bar

1 shows the total irrigation demand. Not shown on this chart
2 is the -- is any allowance for municipal and industrial
3 demand.

4 MR. SANDERS: I guess what I am concerned about is if
5 Mr. -- if you're now testifying now that the actual demand
6 may be greater than what Mr. Grinnell modeled, what does
7 that do to the models?

8 MR. ROBERTSON: It doesn't do anything. It indicates
9 that any shortages that were -- it would indicate that if
10 there was a demand greater than that, then it was simulated
11 that diversion shortages wouldn't be increased.

12 MR. SANDERS: Exactly. You understand that YCWA's
13 fisheries experts made conclusions based on the model that
14 Mr. Grinnell gave them?

15 MR. ROBERTSON: Yes.

16 MR. SANDERS: And they concluded that under the
17 projected level of demand the fishery would be maintained in
18 good condition. Is that your understanding?

19 MR. LILLY: I have to object now. This is clearly
20 beyond the scope of this witness' rebuttal testimony. He is
21 asking what other witnesses testified to earlier in the
22 hearing.

23 H.O. BROWN: Got a good point, Mr. Sanders.

24 MR. SANDERS: Withdraw the question.

25 I think I have had enough.

1 Thank you, Mr. Brown.

2 H.O. BROWN: Thank you, Mr. Sanders.

3 Mr. Cook.

4 ---oOo---

5 CROSS-EXAMINATION OF YUBA COUNTY WATER AGENCY

6 BY MR. COOK

7 MR. COOK: Mr. Robertson, could you briefly list the
8 assumptions that you used in determining future water
9 requirements for Yuba County?

10 MR. LILLY: Mr. Brown, I am going to object unless --
11 this question appears to relate to Mr. Robertson's testimony
12 back on the original phase of this hearing, where his
13 Exhibit 15 did go into length on those future water
14 requirements and the assumptions he made to develop those
15 estimates. But the question as currently stated is not
16 related to either of these exhibits or the testimony that
17 has been given this morning and, therefore, is beyond the
18 scope of the rebuttal.

19 H.O. BROWN: Thank you, Mr. Lilly.

20 Mr. Cook.

21 MR. COOK: My recollection of his testimony today is in
22 substantial part he has drawn a conclusion as to the future
23 needs of water from the Yuba River. Perhaps he didn't
24 specifically say Yuba County, but I think that applies. But
25 I can withdraw that portion and ask him on what assumptions

1 he used in determining the chart for the overhead and his
2 opinion of what future water needs from the Yuba River would
3 be. I think that is his basic testimony today.

4 H.O. BROWN: Let's try that question, Mr. Cook, and see
5 how that goes.

6 MR. COOK: Mr. Robertson, you made some assumptions or
7 you made an opinion today concerning the future needs of
8 water from the Yuba River; is that correct?

9 MR. ROBERTSON: Yes.

10 MR. COOK: That was relating to lands within the county
11 of Yuba; is that correct?

12 MR. ROBERTSON: Correct.

13 MR. COOK: And would you briefly list the assumptions
14 you used in making your conclusion as to the future needs of
15 water from the Yuba River in Yuba County?

16 MR. LILLY: I am going to -- excuse me, Mr. Brown. I
17 am going to make the same objection. All he's testified to
18 this morning on Exhibit S-YCWA-30, which I assume is the one
19 Mr. Cook is asking about, is the overall county trends and
20 then he plotted the historical diversions from the Yuba
21 River and he plotted the two bars from his prior testimony.
22 He did not rehash or go over again that prior testimony. He
23 just said here are the two bars from my prior testimony.
24 Here is how it fits into that.

25 So I think Mr. Cook is still asking him to go back over

1 the testimony that we went through at length earlier in this
2 hearing.

3 H.O. BROWN: Mr. Cook.

4 MR. COOK: If all he testified today about are bars
5 that are have no meaning, then of course Mr. Lilly is
6 correct. But if these bars represent future needs in Yuba
7 County for waters from the Yuba River, then I think it is
8 very proper to ask on what basis he arrived at the
9 conclusion and the data that he provided for the model to
10 prepare these bars.

11 H.O. BROWN: Last shot, Mr. Lilly.

12 MR. LILLY: Clearly we are not saying that these bars
13 have no meaning. I stand by my prior characterization. I
14 think Mr. Cook is asking very general questions that clearly
15 go back to what was covered at length earlier in the
16 hearing. I think he needs to narrow his questions to what
17 was specifically discussed today or he is going beyond the
18 scope of our rebuttal testimony.

19 H.O. BROWN: I agree with Mr. Cook. Answer the
20 question if you can.

21 MR. ROBERTSON: Restate the question.

22 MR. COOK: Yes. I believe I asked you if you would
23 briefly state the assumptions you used in arriving at the
24 document entitled Yuba County Water Agency 30.

25 MR. ROBERTSON: I used the Agricultural Land

1 Commissioner's acreage, projected that acreage based on the
2 historical trend and then applied the recent unit applied
3 water use of Yuba County to come up with the projected total
4 irrigation demand in Yuba County.

5 MR. COOK: Is it correct then that you used the past
6 information on agricultural usage of land in Yuba County to
7 establish a trend to determine the future use or the future
8 probable use of Yuba County land for agriculture?

9 MR. ROBERTSON: Not precisely. The acreage projection
10 is based on the historical trend. The applied water use is
11 based on recent applied water use records.

12 MR. COOK: Now, did you or have you considered for
13 future use of future needs of Yuba River water the cost that
14 is paid by the users of that water in Yuba County?

15 MR. ROBERTSON: Those costs are reflected in the full
16 development demand and is shown in the darker bars. When
17 the projection was made in -- when the demands were
18 developed in 1990 and then adjusted here recently, the
19 irrigable acreage for these districts was determined based
20 on economically developable acreage based on cost that they
21 are occurring done by an agronomist at the time.

22 MR. COOK: Are you familiar with what the users of
23 Yuba River in Yuba County are paying the Yuba County Water
24 Agency for that water?

25 MR. ROBERTSON: Not specifically.

1 MR. COOK: Are you familiar with what the Yuba County
2 Water Agency is providing its water to state agencies and
3 the cost of such water?

4 MR. LILLY: Objection. Again, this clearly goes beyond
5 the scope of rebuttal. There has been no discussion this
6 morning so far regarding the out-out-county water transfers
7 or the price associated with those.

8 MR. COOK: I will lay a foundation, Mr. Brown.

9 H.O. BROWN: We have not talked about economics or
10 costs of water this morning.

11 MR. COOK: My point is he discussed, I think, it has
12 been discussed at length here on this examination the
13 question of conservation, the question of water
14 conservation, and of characterizing it, as it seems to me,
15 subsidized water to users in Yuba County is contrary to
16 water conservation of Yuba River water. As a result, you
17 have to determine that, in fact, Yuba River water users are
18 receiving water for, I believe it is, \$1.45 a minimum per
19 acre-foot, whereas the state has paid as much as \$125 an
20 acre-foot for the same water. With such a disparity in cost
21 I believe that that is an anti-conservation measure which --
22 the conservation issue was brought up on redirect, and I
23 think I am entitled to ask it.

24 H.O. BROWN: That may be, Mr. Cook. The economics was
25 not discussed on water this morning and this is rebuttal.

1 MR. COOK: Can I ask the witness then a question about
2 conservation and economics of conservation?

3 H.O. BROWN: You ask the question and let's see where
4 it goes.

5 MR. COOK: Very well.

6 This is either for Mr. Robertson or Mr. Wilson.

7 Have either of you considered the fact or have either
8 of you considered whether or not increasing the cost of
9 water to Yuba County users would act as a conservation
10 measure for Yuba River water?

11 MR. LILLY: Objection. Goes beyond the scope of
12 rebuttal testimony.

13 MR. COOK: I think I have presented my argument,
14 Mr. Brown. Whatever your ruling is.

15 H.O. BROWN: I am going to sustain the objection, Mr.
16 Cook.

17 MR. COOK: Thank you.

18 Well, Mr. Robertson, I will ask another one. I believe
19 that your chart shows groundwater use and surface water use
20 from the Yuba River. Have you considered the potential lack
21 of availability for groundwater in Yuba County in your
22 assumptions?

23 MR. ROBERTSON: These projections are based solely on
24 irrigation demand and projected acreage that were put
25 forward here in the rebuttal testimony.

1 MR. COOK: I am asking about the groundwater
2 specifically. On the groundwater have you considered the
3 possibility or the potential for reduction in availability
4 of groundwater in the future?

5 MR. ROBERTSON: Not in these projections.

6 MR. COOK: In other words, if water should become less
7 available, your projections would not apply?

8 MR. ROBERTSON: No.

9 MR. COOK: They would apply?

10 MR. ROBERTSON: If projections -- the demand is -- the
11 demand for water is the demand for water. If there is a
12 shortage, that is different than what the demand for water
13 is.

14 MR. COOK: So the availability is not part of your
15 study; is that correct?

16 MR. ROBERTSON: That's correct.

17 MR. COOK: Thank you.

18 Now you did testify about economically developable
19 land. I think you used that particular phrase in your
20 testimony, did you not?

21 MR. ROBERTSON: Correct.

22 MR. COOK: Let me ask it this way: What assumptions
23 did you make in determining whether land was economically
24 developable in the future?

25 MR. ROBERTSON: I did not make those findings. Those

1 were made by an agronomist earlier, prior to the previous
2 hearing.

3 MR. COOK: So, on your chart what did you use to
4 determine economically developable land for the future?

5 MR. ROBERTSON: The economically developable land was
6 presented in a 1990, I believe a 1990, report by
7 Bookmen-Edmonston that outlined all the developable lands
8 within Yuba County for irrigation. Those lands were then
9 adjusted for this testimony to account for shifts in
10 acreage, so that we could properly come up with a revised
11 full development demand and an estimate of present
12 development demand.

13 MR. COOK: Excluding the demand and going to what you
14 testified to about economically developable, on what did you
15 base that?

16 MR. ROBERTSON: That was determined by the agronomist.
17 He categorized all of the land before 1990 and that was the
18 basis of what went into the full development demand. I did
19 not recategorize what was economically developable or not.
20 We used the irrigation and water districts developable
21 acreage developed in 1990, adjusted those for shifts in
22 acreage and shifts in cropping patterns, and then used those
23 for the simulations in this round of hearings.

24 MR. COOK: When you testified about economically
25 developable land, you are basing it on someone else's report

1 that occurred in 1990 and you are projecting that into the
2 year 2020; is that correct?

3 MR. LILLY: I am going to object again. We are now
4 getting back to asking questions about both what Mr.
5 Robertson testified earlier in this hearing and what he and
6 his colleagues testified during the 1992 hearing.
7 Therefore, I object on the grounds this is going beyond the
8 very limited rebuttal that was offered this morning.

9 H.O. BROWN: Mr. Cook.

10 MR. COOK: I will merely state, Mr. Brown, that he
11 specifically used the phrase "economically developable land"
12 in determining his chart of future needs for water. And it
13 would seem to me that that is within the scope of what his
14 testimony was today. There again, whatever your ruling is.

15 H.O. BROWN: Anything more?

16 MR. LILLY: Yes. If Mr. Cook was to ask Mr. Robertson
17 about the methods he used and the assumptions he made in
18 developing these two exhibits, that is fine. But his
19 questions that I objected to go way beyond that.

20 H.O. BROWN: Mr. Cook, how much more time do you need?

21 MR. COOK: I haven't asked Mr. Wilson questions. I
22 have a few with him.

23 H.O. BROWN: We are having a brief reception for Fran
24 Vittuli who was our information officer for years, out in
25 the courtyard. It is going on right now. I think there is

1 coffee over there. Some of you may wish to stop by and wish
2 Fran her very best.

3 We will take a -- let's take a 20-minute break this
4 morning and do that and come back and decide the answer to
5 your question.

6 MR. COOK: Thank you. I will try to speed it up as
7 much as I can.

8 (Break taken.)

9 H.O. BROWN: Back to order.

10 Mr. Cook, you are up. Mr. Cook, why don't you ask the
11 question again, and let's see if it goes by Mr. Lilly.

12 MR. COOK: I will try to remember what it was.

13 H.O. BROWN: I kind of lost track of it also.

14 MR. COOK: I do believe, Mr. Robertson, that you did
15 consider future municipal needs for Yuba River water; is
16 that correct?

17 MR. LILLY: Objection. The question is unclear about
18 consider when he is talking about doing what. There are so
19 many different things discussed in this hearing. The
20 question needs to be more specific. It is ambiguous.

21 H.O. BROWN: I don't understand the question.

22 MR. ROBERTSON: In this rebuttal testimony I only
23 considered irrigated land. In prior testimony I considered
24 municipal and industrial demand.

25 MR. COOK: Did you, in fact, consider municipal demands

1 in the foothills today?

2 MR. LILLY: Same objection.

3 H.O. BROWN: Proceed.

4 MR. ROBERTSON: We did discuss that in that they are
5 not included in these demands, but there are demands that
6 are expected to occur within the foothills as that is the
7 most likely place for future development of municipal areas
8 in Yuba County.

9 MR. COOK: Are you familiar with the area known as the
10 Plumas Lake Specific Plan?

11 MR. ROBERTSON: No, I am not.

12 MR. COOK: Mr. Wilson, you testified that there are two
13 main outlets from the Yuba Goldfields into the Yuba River;
14 is that correct?

15 MR. WILSON: Correct.

16 MR. COOK: The lower one, I think you said, came
17 through the Plant --

18 MR. WILSON: It is Bud Plant's property.

19 MR. COOK: There is another one upstream from that
20 about three-quarters of a mile down from Daguerre Point Dam?

21 MR. WILSON: That is correct.

22 MR. COOK: The one about three-quarters of a mile from
23 Daguerre Point Dam, did you say that was the main one of the
24 two?

25 MR. WILSON: It generally -- the configuration has

1 changed over the years depending on what the operation is in
2 the Goldfields. And that lower outlet has, over the years,
3 has changed in its -- there is another outlet further
4 upstream from that that in some years has been utilized.
5 But currently with current configuration that most upstream
6 of the main outlets carries the predominant amount of the
7 outflow.

8 MR. COOK: Would you know the approximate cubic feet
9 per second rate of flow in that main outlet?

10 MR. WILSON: It varies greatly depending on what the
11 flows in the Yuba River are.

12 MR. COOK: That empties out of a channel that comes
13 from the South Yuba Canal, does it not?

14 MR. WILSON: There are really no channels that come
15 from the South Yuba Canal.

16 MR. COOK: Downstream of the South Yuba Canal,
17 approximately half to three-quarters of a mile, isn't there
18 what is referred to as a flashboard dam?

19 MR. WILSON: We refer to it in a little different
20 nomenclature. I understand what you are talking about.

21 MR. COOK: I will use the term "flashboard" for
22 convenience. This dam has boards in it which either can be
23 added or removed; isn't that correct?

24 MR. WILSON: That is correct.

25 MR. COOK: By adding boards to this particular dam that

1 is right on the south canal, you can either raise or lower
2 the water elevation in the south canal?

3 MR. WILSON: You can influence the level of it.

4 MR. COOK: Is it accurate to say, then, that the water
5 coming out of this dam is used to manage the elevation in
6 the south canal?

7 MR. WILSON: Not necessarily. In wintertime there is
8 no management of it.

9 MR. COOK: During the summer period when the water is
10 being transferred to the south canal for irrigation
11 purposes, is it used for managing that water?

12 MR. WILSON: It is used to hold the head up to push
13 more water through the system.

14 MR. COOK: That water then extends downstream and
15 returns to the Yuba. That is one of the channels --

16 MR. WILSON: To the degree that there is water
17 bypassing that structure, yes. It is one of the
18 contributors. There is many other contributors to the
19 downstream flow.

20 MR. COOK: In any event, that water would return -- the
21 water coming through that flashboard dam out of the south
22 canal would return to the Yuba River?

23 MR. WILSON: If it wasn't utilized downstream by the
24 mining interests.

25 MR. COOK: Talking again about the channel, I think

1 what you referred to as the main channel flowing into the
2 Yuba River, you said that there are plans for or I believe
3 maybe last year there was a screen installed there?

4 MR. WILSON: No. The screen -- there was a bar screen
5 installed at the outlet, at Bud Plant's property, the lower
6 return to the river. There has been various structures at
7 the outlet that I believe you have been discussing or
8 questioning. And currently I believe there is a cobble or
9 gravel barrier that has been pushed up.

10 There has been various devices at that location over
11 the years, and most of these have gotten washed out. It is
12 my understanding that the Department of Fish and Game is
13 pursuing a design of a permanent structure at that point
14 which would exclude -- it would allow the water to go out
15 but would exclude adult fish from coming up into the
16 Goldfields at that location.

17 MR. COOK: Do you have any idea what the permanent
18 structure would be?

19 MR. WILSON: There has been several proposals. It is
20 my understanding that the current structure is something of
21 a gabion-type overstructure, stepped.

22 MR. COOK: You testified about the Dry Creek Mutual
23 Water Company this morning, I believe.

24 MR. WILSON: Yes, I did.

25 MR. COOK: You talked about the conservation measures

1 connected with Yuba County Water Agency's sale of water to
2 this Dry Creek Mutual Water Company?

3 MR. WILSON: I mentioned some of their application
4 practices in regard to how they were applying their water.

5 MR. COOK: In fact, I believe you talked about
6 microsprinklers?

7 MR. WILSON: Yes.

8 MR. COOK: Were there other methods used for
9 conservation of that water?

10 MR. WILSON: The Dry Creek system is a new system. It
11 is just coming on line. Historically this area has been
12 irrigated by groundwater. They are experiencing some
13 quality problems and have elected to go to surface water.

14 The historic practice has -- on the walnuts has been
15 low rate sprinklers. And the newer orchards that are going
16 in, they are developing with newer technology which are
17 lower rate application sprinklers than what they previously
18 used.

19 MR. COOK: What are some of the problems you mentioned
20 about the groundwater?

21 MR. WILSON: Primarily nitrites and nitrates.

22 MR. COOK: I think you also mentioned reuse of the
23 water?

24 MR. WILSON: For the portion of the system that is rice
25 which is flood irrigation. The drainage of these ponds,

1 fields, go to natural channels and some of that gets picked
2 up by other diverters downstream or contributes to water for
3 wetlands and natural habitat.

4 MR. COOK: Is it then your testimony that the water
5 used for the rice crops that in effect is surplus after it
6 is no longer needed returns to the Yuba River?

7 MR. WILSON: It would go to the Bear River.

8 MR. COOK: To the Bear River?

9 MR. WILSON: Correct.

10 MR. COOK: And the Bear River would then go into the
11 Feather River?

12 MR. WILSON: Correct.

13 MR. COOK: Well then, in effect Yuba River water is
14 being transferred via the rice fields to the Bear River; is
15 that correct?

16 MR. LILLY: I am going to object. I think that
17 misstates prior testimony. It is a small fraction of
18 applied water. If he is implying that it is all
19 transported, he is misstating prior testimony.

20 MR. COOK: I am talking about the portion -- I am sorry.

21 H.O. BROWN: Go ahead, Mr. Cook.

22 MR. COOK: I am talking about the portion that goes
23 through the rice fields and is needed for the rice fields
24 but that returns, as Mr. Wilson says, to the Bear River.

25 H.O. BROWN: You understand the question?

1 MR. WILSON: I do. In this case it enters very low in
2 the Bear River, short distance upstream from the Feather.
3 Virtually any runoff water, discharged water, from the
4 fields that isn't used, picked up and reused, any of the
5 water coming down to the Agency project all ends up in the
6 Feather River.

7 MR. COOK: Do you know if the Yuba County Water Agency
8 has a transfer, out-of-basin transfer, permit for that
9 particular water we have been discussing?

10 MR. WILSON: The Agency, to my knowledge, does not.

11 MR. COOK: Thank you.

12 Mr. Brown, the conservation measures for Dry Creek
13 Mutual Water Company were, I think, a fairly substantial
14 portion of the witness' testimony this morning. I would
15 like to go into price again, but I will defer that to
16 depending on whether Mr. Lilly objects and your ruling. It
17 is similar to what we discussed before. Before I ask the
18 question -- or would you like me to ask the question?

19 H.O. BROWN: Ask the question, we'll see what it is.

20 MR. COOK: Very well.

21 H.O. BROWN: Again, I caution you we did not talk about
22 economics this morning.

23 MR. COOK: That was my question, whether price
24 constitutes a conservation measure or not. I don't want to
25 ask the question if I am violating what your previous ruling

1 was. I just was unclear of that because on the Dry Creek --
2 Yuba County Water Agency --

3 H.O. BROWN: You may go ahead and ask the question and
4 we'll see if there is an objection to it.

5 MR. COOK: Very well.

6 With respect to conservation measures at Dry Creek
7 Mutual Water Company, was price of the water considered as a
8 conservation measure?

9 MR. LILLY: I am going to object. Mr. Wilson just
10 talked about the physical facilities this morning. So this
11 goes beyond the scope of his rebuttal testimony.

12 H.O. BROWN: Was price of the water considered as a
13 conversation measure?

14 I will allow the question.

15 MR. WILSON: It was not considered as a conservation
16 measure. However, the surface water is costing them more
17 than their groundwater did.

18 MR. COOK: Well, you said it is costing more. How much
19 is it costing?

20 MR. WILSON: They are incurring the repayment of the
21 distribution system, plus pumping costs, plus conveyance
22 costs. They are -- I am not sure what the exact ultimate
23 dollar is. It is in the range of \$30 an acre-foot.

24 MR. COOK: In comparing the Yuba River to the American
25 River you testified about that earlier today, did you not?

1 MR. WILSON: Yes.

2 MR. COOK: And you pointed out that Folsom Dam is
3 downstream of all the major branches of the American River;
4 isn't that correct?

5 MR. WILSON: That's correct.

6 MR. COOK: You testified that Bullards Bar is on the
7 North Fork. It is not downstream of the South Fork of the
8 Yuba River and also portions of the water from the Middle
9 and Oregon Creek, portions of the Yuba River; is that
10 correct?

11 MR. WILSON: It is on the north stem of the Yuba,
12 right.

13 MR. COOK: You testified then that the Nimbus Dam is
14 the lowest downstream dam on the American River?

15 MR. WILSON: To my knowledge, yes.

16 MR. COOK: You did not testify, however, to the fact
17 that in comparing these two systems that the Englebright Dam
18 is downstream of all the major branches of the Yuba River;
19 is that correct?

20 MR. WILSON: I did not say that.

21 MR. COOK: I am sorry if I did not ask the question.

22 MR. WILSON: My presentation was in reference to
23 Bullards Bar Dam, which is the facility that we have that we
24 have storage rights in, and that is only on the north stem.

25 MR. COOK: Anadromous fish cannot proceed upstream past

1 Englebright Dam; is that correct?

2 MR. WILSON: Not without man's assistance.

3 MR. COOK: At the present time there is no -- unless

4 you truck them up there is no way?

5 MR. WILSON: Truck, backpack or something.

6 MR. COOK: At Nimbus Dam there is no way for fish to go

7 above Nimbus Dam, anadromous fish?

8 MR. WILSON: I don't believe there is a ladder at

9 Nimbus.

10 MR. COOK: At any event, certainly they cannot go

11 upstream from Folsom Dam?

12 MR. WILSON: That is my understanding.

13 MR. COOK: I am not sure I asked this. Isn't

14 Englebright Dam basically downstream of all the major

15 branches of the Yuba River?

16 MR. WILSON: Correct.

17 MR. COOK: You testified to the fact that there was a

18 hundred thousand acre-feet from the headwaters of the Yuba

19 River being diverted to the American River watershed. Did

20 you testify to that?

21 MR. WILSON: There is actually more than that to the

22 American River watershed. There is approximately a hundred

23 thousand acre-feet a year gets physically into the American

24 River.

25 MR. COOK: Isn't it a fact that there is also diversion

1 of water from the upper Yuba River watershed into the Bear
2 River?

3 MR. WILSON: That's correct.

4 MR. COOK: In comparing diversions -- what is the
5 status of the proposal for a Waldo Dam?

6 MR. LILLY: Objection. Goes beyond the scope of the
7 rebuttal.

8 MR. COOK: It may be, Mr. Brown. It is related to the
9 comparison of the two watersheds, and part of the comparison
10 was the diversion of water from both streams. And actually
11 the Waldo Dam, it is my understanding, would divert water at
12 Englebright Dam through tunnels over to the Dry Creek
13 watershed, which then would go into, I think, the Bear
14 River. So I believe it is just another diversion.

15 H.O. BROWN: I'm not familiar with your question.
16 Maybe you can lay a foundation and bring us all up to speed
17 here which way you are heading.

18 MR. COOK: Is the Yuba County Water Agency considering
19 diverting additional Yuba River water from the Englebright
20 Dam?

21 MR. LILLY: I object on the ground this goes beyond the
22 scope of rebuttal. If there is a project for a future
23 reservoir that will be considered in the future, obviously,
24 the State Water Board will have to have a proceeding to
25 address that project. The questions we asked this morning

1 comparing the two watersheds had to do with their present
2 condition which was the rebuttal to the prior testimony
3 which had to do with present conditions.

4 To talk about future projects is going beyond the scope
5 of rebuttal. Frankly, it is going beyond the scope of
6 relevance for this hearing.

7 H.O. BROWN: Mr. Lilly has a good point, Mr. Cook.

8 MR. COOK: I believe that the main point is that there
9 was testimony specifically relating to the differences in
10 the operation of the American River, the facilities on the
11 American River, and Yuba River. And as far as the fact --
12 and that included diversion very specifically. And as a
13 matter of fact, if there is something contemplated, which I
14 think the studies have been conducted for the Waldo Dam and
15 diversions out of the Englebright Dam, I would think that
16 would be appropriate cross on the basis of this morning's
17 testimony. I again would await your order.

18 H.O. BROWN: I have been pretty liberal this morning in
19 tying things into the rebuttal testimony, which is our
20 rules, what we have been playing by, and I'm having trouble
21 making this one reach, Mr. Cook.

22 MR. COOK: Very well. I will withdraw the question.

23 H.O. BROWN: Thank you.

24 MR. COOK: In fact, that is all I have.

25 H.O. BROWN: Thank you, Mr. Cook.

1 Mr. Minasian.

2 MR. MINASIAN: No questions, Mr. Brown.

3 H.O. BROWN: Mr. Bezerra.

4 MR. BEZERRA: No questions, Mr. Brown.

5 H.O. BROWN: Mr. Morris.

6 MR. MORRIS: No questions, Mr. Brown.

7 H.O. BROWN: Staff.

8 ---oOo---

9 CROSS-EXAMINATION OF YUBA COUNTY WATER AGENCY

10 BY STAFF

11 MR. MONA: Good morning.

12 MR. WILSON: Morning.

13 MR. MONA: Mr. Robertson, you first. Let's refer to
14 your Exhibit S-YCWA-30, please. I believe you testified
15 earlier today you personally developed this graph,
16 correct?

17 MR. ROBERTSON: Correct.

18 MR. MONA: The X axis, I presume those are water years;
19 is that correct?

20 MR. ROBERTSON: Yes.

21 MR. MONA: Let's go to the bars identified as historic
22 Yuba River diversions for the years 1975 through 1986.
23 Would you please identify for the record the source of data
24 for those bars, please.

25 MR. ROBERTSON: My recollection is that that was from

1 the corrected data that we provided earlier on in the
2 hearing.

3 MR. MONA: Do you know the specific exhibit number you
4 referred to?

5 MR. ROBERTSON: I believe -- I don't recall exhibit
6 numbers.

7 MR. MONA: Would you refer to Exhibit S-YCWA-15A.

8 MR. LILLY: I am going to object. If Mr. Mona is going
9 to ask this witness questions about exhibits, he has to give
10 the witness copies of the exhibits so the witness has a fair
11 chance to know what he is talking about. We don't have 15A
12 in front of the witness right now.

13 MR. MONA: I have a copy.

14 Just for the record, we are dealing with the period
15 1975 through 1986?

16 MR. ROBERTSON: All right.

17 MR. MONA: Are those data that support these graphs
18 identified anywhere in Exhibit 15A?

19 MR. ROBERTSON: No.

20 MR. MONA: You can't recall where you got the data for
21 those years?

22 MR. ROBERTSON: Those were from data that were prepared
23 for the Yuba County Water Agency by Bookmen-Edmonston in a
24 1990 groundwater report that was previously submitted.

25 MR. MONA: Let's move on to the period 1987 to 1999.

1 Could you identify the source of data that was used to
2 generate the bar graphs for the historic Yuba River
3 diversion?

4 I can help you out. Would that be Table 10 of Exhibit
5 15A?

6 MR. ROBERTSON: I believe it was.

7 MR. MONA: That data came from the historic, total
8 historic diversion demand in that column in that table?

9 MR. ROBERTSON: That is my recollection.

10 MR. MONA: For the two data sets for year 2001 and 2020
11 what is the source of data for those two bars?

12 MR. ROBERTSON: These are stacked bars. The lower bar
13 for 2000, what appears to be 2001 and 2002, is the projected
14 irrigation demand used in the simulation study.

15 MR. MONA: Would they be Table 1 and Table 2 of
16 S-YCWA-15?

17 MR. LILLY: Again, we are getting back to the prior
18 testimony, so we need to have exhibits for the witness to be
19 able to answer these questions.

20 MR. MONA: Here you go.

21 MR. ROBERTSON: Yes. The M&I demand is not included
22 within the bars for the 2020 demand.

23 MR. MONA: Thank you.

24 I notice that you identify the graph as the Historic
25 and Projected Yuba County Irrigation Demand and Supply.

1 Isn't it true that the data set for 1987 through 1999
2 includes two components, those components being actual
3 irrigation demand and waterfowl flooding?

4 MR. ROBERTSON: That's correct.

5 MR. MONA: So it is not just an irrigation demand graph
6 that you are depicting, correct?

7 MR. ROBERTSON: That's correct.

8 MR. MONA: If it was, those bar groups would be
9 somewhat lower than what they are on this graph?

10 MR. LILLY: I am going to object. The question is
11 unclear as to what Mr. Mona is asking would be relevant.
12 Obviously, the point of this graph is to look at historical
13 diversions to the Agency service area. To ask would the
14 bars be smaller if we only looked at part of the historical
15 diversions is an irrelevant question.

16 H.O. BROWN: Ernie.

17 MR. MONA: Well, Mr. Brown, he identifies a graph as an
18 irrigation demand and supply graph. I am just asking do
19 the bar graphs, in fact, reflect just irrigation demand or
20 does it include two components, irrigation demand and
21 waterfowl habitat.

22 H.O. BROWN: Good question.

23 MR. ROBERTSON: The bars include water for rice double
24 D composition which also serves as waterfowl habitat. To
25 the extent the land can -- it is not a consumptive use

1 demand in the sense that irrigation water is consumed and
2 evapotranspiration occurs. But it does allow the land to be
3 irrigated when you can use the water for rice double D
4 composition.

5 MR. MONA: Would you happen to know what the average
6 historic irrigation demand is for 1987 through 1999?

7 MR. ROBERTSON: The average historical --

8 MR. MONA: Irrigation demands.

9 MR. ROBERTSON: I don't have the amounts separated
10 versus the water for rice double D composition.

11 MR. MONA: Let's move on. Let's move on to the bars
12 identified in alternative supply and reuse. Let's move
13 back. The historic Yuba River and estimated future Yuba
14 River diversion, those are diversions that have occurred
15 within the Agency's service areas; is that correct?

16 MR. ROBERTSON: In the Lower Yuba River. There are
17 also some diversions that occur upstream that are not
18 accounted in this.

19 MR. MONA: But that identified irrigation demand that
20 you have shown here on irrigation demands that have been met
21 from diversions from the Yuba River for use within the
22 Agency's service area?

23 MR. ROBERTSON: The total irrigation demand depicted by
24 the sum of the two bars includes all irrigation demand. The
25 shaded bars, the lower bars, indicate the demands from the

1 Lower Yuba River.

2 MR. MONA: For use within the service area?

3 MR. ROBERTSON: Correct.

4 MR. MONA: The alternative supply and reuse bars then,
5 as you have identified, are principally identified
6 groundwater use. Is that groundwater use within the service
7 area of Yuba County Water Agency?

8 MR. ROBERTSON: They are from all other sources,
9 including Bear River, Feather River, groundwater, any other
10 local stream diversions and reuse. It's the remainder.

11 MR. MONA: Am I correct in concluding then that you are
12 using this graph to identify some maximum limit here where
13 on one hand you are just showing irrigation uses within the
14 service area and on top of that you are adding to it
15 groundwater used principally and other supplies reused
16 within the entire Yuba County, not only just within the Yuba
17 County Water Agency service area?

18 MR. LILLY: I am going to object that that question is
19 compound and ambiguous. I think he needs to split it up
20 into parts so we can really understand what the question is.

21 H.O. BROWN: The graph as described earlier I thought
22 was pretty clear, that the bars are separated into surface
23 diversion and groundwater extractions and reclamation
24 water.

25 MR. MONA: The point I am trying to make, Mr. Brown, is

1 that surface diversions here identified on this graph are
2 surface diversions for use within the Agency as groundwater
3 extractions. What I am trying to get to is whether these
4 groundwater extractions are extractions made within the
5 Agency as an alternative supply of water.

6 MR. LILLY: Wait until he asks a question.

7 H.O. BROWN: Where are you heading with it?

8 MR. MONA: Well, eventually I was going to ask, if, in
9 fact, we should include that this graph represents a total
10 supply of water, both surface and groundwater, that can be
11 relied upon with the Agency service area, or does the
12 alternative supply of groundwater here, in fact, reflect
13 groundwater that may be available within the Yuba County
14 Water Agency service area.

15 H.O. BROWN: Mr. Frink.

16 MR. FRINK: I am a little confused also. You want me
17 to try to -- I think I can ask the questions that will break
18 it up the way Mr. Mona wants, in the way that is clear.

19 H.O. BROWN: Try it.

20 MR. FRINK: Let's see how it goes, Mr. Robertson.

21 Now my reading of the graph shown in your Exhibit 30 is
22 that the shaded bars represent historical deliveries by Yuba
23 County Water Agency within its service area. We had that
24 established before; is that correct?

25 MR. ROBERTSON: Correct.

1 MR. FRINK: The additional increment shown on top of
2 that reflects additional water that was used within the
3 entire Yuba County area for the years 1975 through 1999; is
4 that correct?

5 MR. ROBERTSON: Correct.

6 MR. FRINK: Then you have some projected use for years
7 2000 and 2020; is that correct?

8 MR. ROBERTSON: Correct.

9 MR. FRINK: Looking at the upper portion of the bars
10 there, am I correct in understanding that not all of that
11 water use occurred within Yuba County Water Agency's service
12 area?

13 MR. ROBERTSON: The service area of Yuba County, as I
14 understand it, includes most of the county. Their water
15 rights service area -- their water rights area may be
16 different.

17 MR. FRINK: But does the or do the upper portions of
18 the bar include areas that, in fact, Yuba County Water
19 Agency has not been delivering water to?

20 MR. ROBERTSON: Correct.

21 MR. FRINK: How did you determine the quantities of
22 water reflected in the upper portions of the bar shown on
23 Exhibit 30?

24 MR. ROBERTSON: Those are determined by using the
25 irrigated acreages developed from the Ag Commissioner, Yuba

1 County Ag Commissioner, and the current applied water rights
2 of Yuba County.

3 MR. FRINK: Is it correct to say that the lower portion
4 of the bars in Exhibit 30 reflects the district's
5 information on historical diversions, and the upper portion
6 of the bar reflects your estimates on other water use that
7 occurred within the county?

8 MR. ROBERTSON: Correct.

9 MR. FRINK: So we have a combination of both the
10 historical records on diversions plus estimates on other use
11 that you believe occurred?

12 MR. ROBERTSON: Correct.

13 MR. FRINK: Mr. Mona has a couple more questions.

14 H.O. BROWN: Thank you, Mr. Frink.

15 MR. MONA: Let's go to Exhibit S-YCWA-29, please. The
16 projected 111,000 acres that you estimated that will be
17 irrigated in the year 2020, do you know how many of those
18 acres actually lie within the service area of Yuba County
19 Water Agency?

20 MR. ROBERTSON: Again, the Agency -- the Agency
21 boundaries encompass all of Yuba County, but there may be a
22 difference between where the water rights allow them to
23 serve and where they're actual boundaries. The boundaries
24 of the Agency encompass nearly all of the county, as I
25 understand it.

1 MR. MONA: Do you know how many irrigation districts or
2 water districts are served within the agency and by the
3 agency or will be served by the agency?

4 MR. LILLY: Wait, wait, wait. Objection. Compound.

5 H.O. BROWN: Sustained.

6 MR. MONA: Is it true that the agency is serving
7 Brophy Water District, Browns Valley Irrigation District,
8 Cordua Irrigation District, Datoni area, the Dry Creek
9 Mutual Water Company, Hallwood Irrigation District, Ramirez
10 Irrigation District and the South Yuba Water District
11 currently?

12 MR. ROBERTSON: And Dry Creek Mutual.

13 MR. MONA: In the future they will also be serving
14 Western Water District and Western Water District
15 attachments, Wheatland?

16 MR. ROBERTSON: Correct.

17 MR. MONA: And is it true that the agency has, in fact,
18 already projected how much total acres will be served in
19 order to derive their future estimated demand?

20 MR. ROBERTSON: We have made an estimate, yes.

21 MR. MONA: Would those estimates be located in Exhibit
22 S-YCWA-15, Appendix A?

23 MR. ROBERTSON: Yes.

24 MR. MONA: If you total the net acreage irrigated,
25 projected irrigated, would that total come out to around

1 69,000 acres total?

2 MR. LILLY: I object on the ground that this question
3 apparently is referring to a specific page in that exhibit.
4 The question would be clear if he would refer to the page.
5 Then we can look at it and see if we are both talking about
6 the same thing.

7 MR. MONA: I am referring to Exhibit 15, Appendix A,
8 the tables wherein the district estimated projected net
9 acres, how many net acres would ultimately be served and
10 came up with some number that would ultimately be needed to
11 serve the future acreage.

12 MR. ROBERTSON: Appendix A includes the derivation of
13 the water demands based on projected acreage.

14 MR. MONA: In order to arrive at that projected total
15 you would have to go to each one of the tables which are
16 identified for each of the districts served to determine the
17 total net acreage that would be served ultimately by the
18 agency?

19 MR. ROBERTSON: That is within the Lower Yuba River
20 service area. There are also demands that the agency may
21 serve that are upstream of the Yuba River service area. We
22 were dealing with Lower Yuba River, so these demands focus
23 on the demands from the Lower Yuba River. They include both
24 water districts and irrigation districts and mutual water
25 companies.

1 MR. MONA: Those would be irrigated acreage in the
2 upper Yuba River that you are referring to? Those demands
3 on the Lower Yuba River are irrigation demands that would be
4 served, correct?

5 MR. ROBERTSON: Correct.

6 MR. MONA: The upper demands that you refer to are what
7 type of demands?

8 MR. ROBERTSON: They are both municipal demands and
9 potential irrigation demands that are ongoing.

10 MR. MONA: Those demands would amount to 111,000 acres
11 ultimately by the year 2020?

12 MR. ROBERTSON: If the past trend portends the future,
13 that is correct.

14 MR. MONA: Thank you.

15 MR. FRINK: I guess I do have a follow-up question on
16 the Exhibit S-YCWA-29. Of the 110,000 acres that are
17 estimated as being irrigated in the year 2020, did you mean
18 to imply that Yuba County Water Agency will be serving water
19 to those 110,000 acres?

20 MR. ROBERTSON: No. It is land that will have an
21 irrigation demand. To my knowledge, Yuba County hasn't made
22 firm commitments, although the districts do work with the
23 Agency in terms of supplementing their demands. So, to the
24 extent that there are demands beyond the Lower Yuba River,
25 those haven't -- no firm commitments, there are no firm

1 commitments that I am aware of except they are part of the
2 Agency.

3 MR. FRINK: In making your projections for future water
4 demand that Yuba County Water Agency would serve, is it
5 correct that you relied upon the acreage numbers that Mr.
6 Mona and you were discussing earlier shown in the appendix
7 to your Exhibit 15?

8 MR. ROBERTSON: Yes.

9 H.O. BROWN: For the record, Mr. Frink, you meant
10 111,000 acres?

11 MR. FRINK: No. I wanted to clarify that I think there
12 is a difference between the 111,000 acres shown in Exhibit
13 29 and the actual acreage that Mr. Robertson used in
14 predicting the water demand that Yuba County Water Agency
15 itself expects to serve.

16 Is that right, Mr. Robertson, there is a difference in
17 those numbers?

18 MR. ROBERTSON: That's correct. The 111,000 acres
19 shown on the chart also happens to coincide with the
20 projections that were made by Bookmen-Edmonston in the
21 1990s' vintage report on projected full irrigation demands
22 of the county.

23 The amounts that we have in the simulations, and
24 they're depicted by the dark bars, are based on the acreages
25 used in Appendix A of Exhibit 15.

1 MR. FRINK: Although Yuba County Water Agency includes
2 most, if not all, of the county within its service area, you
3 don't mean to represent that Yuba County Water Agency
4 intends to meet all of the future water demands within Yuba
5 County; is that correct?

6 MR. ROBERTSON: I can't make representations for Yuba
7 County in terms of what they intend to do. For the
8 simulations, all we relied upon was the projected acreages
9 in the Lower Yuba River.

10 MR. FRINK: The Bookmen-Edmonston report that you
11 referred to focused on irrigation demands throughout the
12 county; is that correct?

13 MR. ROBERTSON: Throughout the county. The 111,000
14 acres refers to throughout the county. Exhibit 15 refers to
15 areas within the Lower Yuba River service area.

16 MR. FRINK: I wonder if we can look at your Exhibit
17 S-YCWA-30, which is entitled Historical and Projected Yuba
18 County Irrigation Demand and Supply.

19 Looking at shaded portion of the bars shown for each of
20 the water years, does that include any diversions that were
21 made from the Yuba River under the water rights of other
22 parties other than Yuba County Water Agency?

23 MR. ROBERTSON: It is my understanding that the Yuba
24 County Water Agency backs up water rights as part of their
25 settlements with the water rights holder on the Lower Yuba

1 River. Exactly how they work their accounting I am not
2 intimately familiar with that.

3 MR. FRINK: Do you know if this includes diversions
4 that were made under the separate rights of Browns Valley
5 Irrigation District?

6 MR. ROBERTSON: There were diversions that were made
7 from the Colgate penstock. These are for Browns Valley, but
8 these are diversions from the Lower Yuba River to service
9 those areas.

10 MR. FRINK: Are those diversions included within the
11 shaded portions of your graph?

12 MR. ROBERTSON: Correct.

13 MR. FRINK: This is a question for either Mr. Robertson
14 or Mr. Wilson. Do you know if there were other diversions
15 made by Browns Valley Irrigation District that are not
16 reflected in the shaded portion of the graph?

17 MR. WILSON: Correct, there were.

18 MR. FRINK: Would it be -- is it your understanding
19 that Browns Valley Irrigation District reports those
20 diversions separately on its report of water diversions that
21 it submits to the State Board?

22 MR. WILSON: I would assume they do, I have no
23 knowledge what they do.

24 MR. FRINK: Mr. Robertson, for the year 1999 it appears
25 that the graph, Exhibit 30, shows that the use of water from

1 alternative sources other than the Yuba River was
2 approximately 170,000 acre-feet; is that correct? Am I
3 reading your graph correctly?

4 MR. ROBERTSON: As I see the graph, it shows just right
5 about 300,000 for the shaded bar and then up about 470-. So
6 I would -- the difference would be approximately as you say
7 it.

8 MR. FRINK: Then if we go up to the year 2020, looking
9 at the projected use, projected demands to be met from
10 alternative supplies, it appears that you have projected
11 about 230,000 acre-feet of the demand would be met by
12 alternative supplies; is that correct?

13 MR. ROBERTSON: That's correct.

14 MR. FRINK: If we were to arrive at an estimate for the
15 increase in the demand that you expect to be met from
16 alternative supplies, could we subtract the 170,000
17 acre-feet in 1999 from the 230,000 acre-feet that you have
18 projected for the year 2020?

19 MR. ROBERTSON: Could you restate that?

20 MR. FRINK: If we want to know the increase in water
21 demand that you have projected to be met by alternative
22 supplies, we can just subtract the alternative supply number
23 for 2020 from the alternative supply number from 1999; is
24 that correct?

25 MR. ROBERTSON: Not entirely. This is showing a demand

1 for water that would need to come from other sources. It is
2 not a source -- they are not identified specifically sources
3 of supply that are summed up to make the clear bar. So what
4 this shows is a residual demand that we have not planned on
5 meeting from the Lower Yuba River.

6 MR. FRINK: Going back to the years 1975 through 1999,
7 now it is my understanding that that also is a residual
8 demand that you have estimated exists, that you don't know
9 the actual amount of water that was available to serve that
10 demand; is that correct?

11 MR. ROBERTSON: The period up through 1990 is based on
12 a water balance that was performed for the groundwater study
13 for Yuba County in 1990. This is a water balance performed
14 on those data.

15 MR. FRINK: On the groundwater portion?

16 MR. ROBERTSON: There was a water balance performed by
17 Bookmen-Edmonston that evaluated the availability of surface
18 water supplies and the change in groundwater elevation and
19 the return flows to the river which derived the actual total
20 water use within the area.

21 So the numbers prior to 1990 are very good estimates of
22 what the demand was. Post-1990 are based on the recent
23 water use, applied water rate.

24 MR. FRINK: In response to questions from Mr. Gee I
25 believe you stated that a portion of the projected demand to

1 be met from alternative sources will be met from reuse of
2 tailwater return flows; is that right?

3 MR. ROBERTSON: That is the present practice.

4 MR. FRINK: Do you have any estimate on the amount of
5 the demand that is currently being met through reuse of
6 tailwater return flow?

7 MR. ROBERTSON: Not with me, no.

8 MR. FRINK: Do you have an estimate on the amount of
9 the future demand that you expect will be met from reuse of
10 tailwater return flow?

11 MR. ROBERTSON: No, I don't.

12 MR. FRINK: Did you develop such an estimate in
13 preparing Exhibit 30?

14 MR. ROBERTSON: No, I did not.

15 MR. FRINK: Mr. Wilson, I have just a couple of
16 questions regarding the percentage of runoff in the Yuba
17 River that is available for diversion into New Bullards
18 Bar. I believe you testified approximately 50 percent of
19 Yuba River runoff enters New Bullards Bar from the North
20 Fork Feather River; is that correct?

21 MR. WILSON: North Fork Yuba River.

22 MR. FRINK: I'm sorry, North Fork Yuba River. I'm
23 working on another project, and I am used to writing NFFR.

24 You also mentioned that water is diverted into New
25 Bullards Bar from the Middle Fork of the Yuba River and from

1 Oregon Creek. Do you know the approximate quantity that is
2 diverted into New Bullards Bar from the Middle Fork of the
3 Yuba River in dry years?

4 MR. WILSON: Depends on how dry a year. Anywhere from
5 zero to 50,000.

6 MR. FRINK: How about from Oregon Creek?

7 MR. WILSON: That is a combination of both of them.

8 MR. FRINK: When you mentioned your estimate of
9 approximately 50 percent of the Yuba River that enters New
10 Bullards Bar from the North Fork Feather River, did that
11 include --

12 MR. WILSON: Let's try a different river again.

13 MR. FRANK: I am sorry. Cross out that acronym. I
14 will restate the question.

15 Your estimate of approximately 50 percent of Yuba River
16 runoff enters New Bullards Bar from the North Fork Yuba
17 River, did that include any of the diversions from the
18 Middle Fork Yuba River or Oregon Creek?

19 MR. WILSON: No, it did not.

20 MR. FRINK: Do you know the approximate percentage of
21 the runoff of the Yuba River that is diverted into New
22 Bullards Bar from all sources?

23 MR. WILSON: The average annual unimpaired runoff is
24 about two million two, and on the average it would be about
25 10 percent. Excuse me, you would have -- on an average year

1 you would have a total -- well, that is not right either.
2 On an average year you would have a lot of bypass flows that
3 cannot divert.

4 MR. FRINK: Let me rephrase the question. Maybe I
5 will give you -- if we more narrowly focus the question it
6 might be easier to figure.

7 If we look at a relatively dry year, but there is
8 substantial water available in the Middle Fork Yuba River
9 and also in Oregon Creek, how much of the total runoff for
10 the Yuba River is available for diversion into New Bullards
11 Bar from all three sources, the North Fork Yuba River,
12 Middle Fork Yuba River and Oregon Creek?

13 MR. WILSON: Percentagewise?

14 MR. FRINK: Yes.

15 MR. WILSON: Somewhere 55, 56 percent.

16 MR. FRINK: So much of the -- so not much of the water
17 that goes into New Bullards Bar is from the Middle Fork Yuba
18 River or Oregon Creek?

19 MR. WILSON: It varies, anywhere from zero to about
20 260,000 acre-feet depending on the water year type.

21 MR. FRINK: A couple more quick questions regarding
22 bypass of flows at the Narrows 1 and Narrows 2 electrical
23 plants or hydropower plants.

24 You mentioned that there is a bypass of 650 cfs at
25 Narrows 2?

1 MR. WILSON: Correct.

2 MR. FRINK: And also a bypass of 650 at Narrows 1?

3 MR. WILSON: Yes.

4 MR. FRINK: If one of the power plants were down and
5 one's objectives were to meet the bypass flow requirements,
6 you would still have available the bypasses at each of the
7 powerhouses; is that correct? I'll rephrase the question to
8 take care of Mr. Lilly's objection.

9 Speaking from a physical standpoint if PG&E and County
10 Water Agency were coordinating operations, and if one of the
11 powerhouses were down, from a physical standpoint you could
12 meet bypass flow requirements by using each of the bypasses
13 of each of the power plants; is that correct?

14 MR. LILLY: I am going to object just to the term
15 "bypass flow requirements" is ambiguous. That is an unclear
16 term.

17 MR. FRINK: Mr. Lilly is correct. I will rephrase the
18 question.

19 To meet the instream flow requirements downstream of
20 Englebright Reservoir?

21 MR. WILSON: Depends on the type of trip on Narrows 2.
22 We do coordinate and we do try to minimize impacts. If we
23 get a trip on Narrows 1 or 2, we try and compensate with the
24 other plant to the degree we can. In regard to bypass, if
25 Narrows 2 goes into a full lockout, shutdown, we lose the

1 bypass capability because the gates of the reservoir are
2 closed. We do -- if we were only operating with Narrows 2,
3 and we went into a full lockout, shutdown on Narrows 2 and
4 Narrows 1 was not operating, we would initiate through PG&E
5 650 cfs introduction to the river through the Narrows 1
6 bypass.

7 If we do not go into a full lockdown, shutdown on
8 Narrows 2, we would have a capability of 1,300 cfs combined
9 for bypass.

10 MR. FRINK: Are the power plants operated separately?
11 Does Yuba County Water Agency operate Narrows 2 and PG&E
12 operate Narrows 1?

13 MR. WILSON: Technically we do, but we coordinate the
14 operation with them with current ownership. With the
15 divestiture that is a concern to us.

16 MR. FRINK: Right now any increase or decrease in power
17 revenue accrues to PG&E; is that correct?

18 MR. WILSON: That is correct.

19 MR. FRINK: As a matter of physical operations, is
20 there one individual making the decisions at the time as to
21 where to release water from, which of the powerhouses to
22 release water from?

23 MR. WILSON: It is a coordinated decision.

24 MR. FRINK: Does Yuba County Water Agency itself have
25 anything to do with the day-to-day operations of the

1 powerhouses?

2 MR. WILSON: Yes. On Narrows 1 we own and we operate
3 -- excuse me, Narrows 2. I'm catching it from you.

4 We take our dispatch orders from PG&E.

5 MR. FRINK: And right now with the coordinated
6 operation I assume if there were a breakdown in one of the
7 power plants that required shutting off flows through that
8 power plant, that you would attempt to meet the instant flow
9 requirements for the other; is that correct?

10 MR. WILSON: Yes, we do that.

11 MR. FRINK: Thank you.

12 MS. LOW: I just have a few questions for Mr.
13 Robertson. This relates back to Exhibit 30 again.

14 My question relates to the increased use in recent
15 years for rice straw decomposition and wildlife habitat.
16 Has there been an increase in use in recent years due to new
17 uses for rice straw decomposition?

18 MR. LILLY: Mr. Brown, I am going to object. This goes
19 beyond the scope of rebuttal testimony.

20 H.O. BROWN: Ms. Low.

21 MS. LOW: The reason I am asking, there is some numbers
22 presented here from historical water use, and I am trying to
23 understand the trend better here, and if there is new uses
24 that may have influenced the trend in recent years.

25 H.O. BROWN: Mr. Frink, he did not get into the

1 breakdown of the uses on direct?

2 MR. FRINK: He didn't, and I think we can get
3 information on trends and uses for water for waterfowl
4 habitat from previous exhibits.

5 MS. LOW: That is fine. That is all my questions.
6 Thank you.

7 H.O. BROWN: Mr. Lilly, do you have any redirect?

8 MR. LILLY: Yes.

9 ---oOo---

10 REDIRECT EXAMINATION OF YUBA COUNTY WATER AGENCY

11 BY MR. LILLY

12 MR. LILLY: Mr. Wilson, some questions have been asked
13 about -- numerous questions have been asked to you about the
14 Narrows 2 bypass facilities. Did the Federal Energy
15 Regulatory Commission approve the specific design of the
16 Narrows 2 power plant when the license was issued for that
17 plant in the 1960s?

18 MR. WILSON: Yes, they did.

19 MR. LILLY: Did those plants include specifications for
20 the 650 cubic foot per second bypass facility that you
21 described?

22 MR. WILSON: Yes, they did.

23 MR. LILLY: Has the Federal Energy Regulatory
24 Commission ever amended the license to require Yuba County
25 Water Agency to construct a new bypass or to enlarge that

1 existing bypass to increase its capacity?

2 MR. WILSON: They have not.

3 MR. LILLY: Would Federal Energy Regulatory Commission
4 approval be required before the Agency would be authorized
5 to change the capacity of the Narrows 2 bypass?

6 MR. WILSON: Yes, it would.

7 MR. LILLY: That would be in the form of a license
8 amendment that would be required?

9 MR. WILSON: I believe it would require a license
10 amendment.

11 MR. LILLY: Has the Agency prepared any estimate of the
12 cost of a full bypass facility at Narrows 2 Powerhouse?

13 MR. WILSON: Yes, it has.

14 MR. LILLY: Just in approximate numbers what would that
15 cost estimated to be?

16 MR. WILSON: The physical cost is approximately
17 \$5,000,000. We tried to come up with a plan that would
18 minimize the amount of time the plant would be out of use,
19 and when the plant is out of use it not only results in loss
20 of generation potentially, depending on water year type, but
21 it also impacts ancillary service values of Colgate power
22 plant. And in looking for a window that looked like we have
23 the less fishery impact in trying to accomplish this, I
24 discussed this with PG&E dispatchers. And they modeled if
25 this would have been done in 1999, during that window which

1 is a 12-week window, the loss of generation at Narrows plus
2 the ancillary services impact loss, Colgate would have
3 amounted to \$12,000,000. Had we built it in 1999 under that
4 scenario, it would have been a \$17,000,000 project.

5 MR. LILLY: When you talk about ancillary services, in
6 general terms is that because Colgate could not be used as a
7 peaking power plant as much as it currently is during that
8 construction period?

9 MR. WILSON: Correct, and its capacity would be
10 realized also.

11 MR. LILLY: There also were some questions regarding --
12 I think your testimony in response to questions was that
13 Englebright Dam is a regulatory point but not a control
14 point.

15 Do you recall those questions?

16 MR. WILSON: That's correct.

17 MR. LILLY: What is the active storage capacity of
18 Englebright Reservoir?

19 MR. WILSON: The active storage capacity is 45,000
20 acre-feet.

21 MR. LILLY: During the times when the inflows into
22 Englebright exceed the outflow capacities to Narrows 1 and
23 Narrows 2, does the excess water just spill over the top of
24 the dam?

25 MR. WILSON: Once you exceed your storage capacity,

1 yes.

2 MR. LILLY: Does that happen frequently or not?

3 MR. WILSON: In anything above a below average year we
4 usually end up with substantial days of spill at
5 Englebright.

6 MR. LILLY: Now, Mr. Robertson, I have a couple
7 questions for you following up on your Exhibit S-YCWA-30.

8 I think staff asked a question about the projection of
9 the increased demand for alternative supplies that would go
10 from 170,000 acre-feet in 2001 to, I believe the number is,
11 230,000 acre-feet in 2020; is that correct?

12 MR. ROBERTSON: I recall the question.

13 MR. LILLY: I just want you to clarify what you meant
14 when you said that's an increased demand and you have not
15 looked at whether the supply would be available. Could you
16 clarify what the distinction is in increase in demand and
17 increase in supply in that scenario?

18 MR. ROBERTSON: The supplies shown through 1999 are the
19 gray bars that are on the lower portion of the graph. Those
20 are supplies. The white bars there and up through 1990 are
21 calculated from the water balance. So there were supplies
22 there. But the top of the white bars or the clear bars
23 indicate a demand.

24 When we look at 2020 and just past 2000, the clear bar
25 indicates a residual demand for water based on irrigated

1 acreage, and that residual demand is after projected service
2 by Yuba County Water Agency from the Lower Yuba River.

3 MR. LILLY: Basically, your graph then shows an
4 increase in that residual demand of 60,000 acre-feet per
5 year between 2001 and 2020?

6 MR. ROBERTSON: That's correct.

7 MR. LILLY: Are you offering any testimony whether or
8 not there are supplies outside of Yuba River that would be
9 available to meet that increased demand?

10 MR. ROBERTSON: No, I am not.

11 MR. LILLY: If there were not supplies outside of the
12 Yuba River to meet that demand would that -- would a
13 potential of additional supply for that increased demand be
14 from the Yuba River itself?

15 MR. ROBERTSON: It could be.

16 MR. LILLY: Thank you. I have no further questions of
17 these witnesses.

18 H.O. BROWN: All right.

19 Any recross on redirect? Anyone?

20 Okay.

21 Staff?

22 MR. FRINK: No.

23 H.O. BROWN: You have some additional exhibits you
24 would like to offer into evidence?

25 MR. LILLY: I think these are the last two, Mr. Brown.

1 I know it has been a long hearing. We offer at this point
2 S-YCWA-29 and S-YCWA-30.

3 H.O. BROWN: Exhibits 29 and 30, are there any
4 objections?

5 Seeing none, they are so accepted.

6 I think that completes this panel.

7 MR. LILLY: That is correct, and that completes the
8 Yuba County Water Agency's rebuttal.

9 H.O. BROWN: Gentlemen, thank you very much. You have
10 been very patient waiting for this.

11 Thank you.

12 Mr. Minasian, I believe you have an exhibit to offer
13 into evidence.

14 MR. MINASIAN: I do. We have made copies of 4.18 and
15 4.19 for everybody. They were the overheads that were
16 prepared by Dr. Brannon; I would offer, Board Member Brown:

17 4.0, which is the Curriculum Vitae for Ernest Brannon;

18 4.1, which is the attributes of chinook salmon.

19 4.2, which is the run classification chart.

20 I would not offer 4.3 because it was not referred
21 to.

22 I would offer 4.4, which is the chinook salmon spawning
23 time chart.

24 I would offer 4.5, which is the spawning time versus
25 mean incubation temperature.

1 4.6, which is the days to yolk absorption with mean
2 temperatures.

3 4.7, which is the compensation rate of development
4 versus temperature.

5 I would not offer 4.8 because it was not referred to.

6 Not offer 4.10, but would propose 4.9 to be admitted,
7 which is the temperature effects on chinook growth rate.

8 And then I would suggest that 4.18, which is the peak
9 chart and 4.19, which is the demonstrative chart showing the
10 difference between a peak spawn time and a bell curve or
11 skewed curve based upon change in temperature, be offered.

12 H.O. BROWN: See if I have these, Mr. Minasian.

13 4.0, 4.1, 4.2, 4.4, 4.5, 4.6, 4.7 and 4.9 and then
14 4.18 and 4.19?

15 MR. MINASIAN: That's correct.

16 H.O. BROWN: Are there any objections to those
17 exhibits?

18 Mr. Cunningham.

19 MR. CUNNINGHAM: If I might, Mr. Brown.

20 First, actually just a point of clarification. Mr.
21 Minasian, your Exhibit 4.19, I think is reversed from the
22 overhead that Dr. Brannon was drawing. At least that is
23 what it appears to be. I think, it is actually reversed
24 right to left or just flip-flopped.

25 H.O. BROWN: On the --

1 MR. CUNNINGHAM: I think when Dr. Brannon drew it, he
2 drew the X axis to the left and Y axis to the right.

3 MR. MINASIAN: Thank you for pointing that out.

4 H.O. BROWN: You're right.

5 MR. CUNNINGHAM: I think it got flip-flopped.

6 Mr. Brown, I have a question to ask.

7 H.O. BROWN: Hold it up backwards. Good point. Good
8 eye, Mr. Cunningham.

9 MR. CUNNINGHAM: And then, Mr. Brown, I do have a
10 question, and perhaps Mr. Minasian can refresh my memory on
11 Exhibit 4.6. I did not remember Dr. Brannon talking about
12 the actual days to yolk absorption with mean temperature.
13 So I do have an objection to foundation. If Mr. Minasian
14 could refresh my memory.

15 MR. MINASIAN: My recollection was that he went to the
16 diagram and said, "See, as the temperature increases, you
17 basically decrease the number of days till the yolk is
18 absorbed and emergence occurs."

19 H.O. BROWN: All right. There is no objections to the
20 admission of those exhibits so named?

21 MR. LILLY: I assume that we can -- just procedurally I
22 request that Mr. Minasian flip over the overhead and make a
23 new copy of 4.19 and that he send it out to the parties so
24 the record has the correct one so anyone doesn't have to
25 hold it up to the light.

1 H.O. BROWN: Good point, Mr. Lilly.
2 Mr. Minasian, will you --
3 MR. MINASIAN: Be glad to do that.
4 H.O. BROWN: Any other comments on the exhibits?
5 Seeing none, they are so accepted into evidence.
6 MR. FRINK: Mr. Brown, I just wanted to clarify
7 something that Mr. Minasian did. There are a few other
8 exhibits attached at the end of your handout, proposed
9 exhibits, 4.11 and 4.12, 4.13 and 4.14. I take it those are
10 not offered?
11 MR. MINASIAN: They are not offered.
12 Thank you.
13 MR. FRINK: And 4.15 and -- 4.15 and 4.16?
14 MR. MINASIAN: That's correct.
15 I have what I would estimate to be five minutes of
16 rebuttal on a foundational issue at the appropriate time.
17 H.O. BROWN: Now is the appropriate time, Mr.
18 Minasian.
19 MR. MINASIAN: May I be sworn?
20 H.O. BROWN: You are making a rebuttal to what?
21 MR. MINASIAN: On the sole issue of the condition of
22 the gabion pond prior to construction of the gabion. And to
23 do that I will have to ask the Board to accept a copy of an
24 official record of South Yuba Water District, which is an
25 aerial photograph that shows the pond to be in existence and

1 isolated from the river before the gabion.

2 MR. SANDERS: I am going to object. It is highly
3 unusual for an attorney to be a witness, in fact, violates
4 the rules of professional ethics, and, therefore, I object.

5 H.O. BROWN: Thank you.

6 MR. MINASIAN: It is an interesting objection.
7 Unfortunately, I also happen to be the acting secretary and
8 depositor of the official records of this district. So I am
9 basically the only one with the capacity to testify to the
10 records of the district.

11 MR. SANDERS: In that case I withdraw my objection.

12 H.O. BROWN: You withdraw?

13 MR. SANDERS: I do. I think he is an appropriate
14 witness.

15 H.O. BROWN: Any comment, Mr. Frink?

16 MR. FRINK: Since it is being offered as rebuttal, with
17 evidence are you offering this to rebut?

18 MR. MINASIAN: Do you remember the testimony in regard
19 to the great fear that juvenile salmon would be washed by
20 floods into the pond? And it would certainly be relevant to
21 show that the pond existed before the gabion, and there was
22 no outlet to the river. We did not construct the pond. It
23 existed before.

24 MR. FRINK: Mr. Brown, I am not disputing who
25 constructed the pond or not, but I don't think anybody

1 stated that they did construct the pond, so I am not sure he
2 is rebutting anything. It seems to be a new subject.

3 MR. MINASIAN: The issue was raised by Department of
4 Fish and Game for the purposes of citing activities of the
5 South Yuba Water District that rendered salmon in poor
6 condition. Causation is always a proper subject of
7 rebuttal.

8 We did not cause the existence of the pond and, as a
9 matter of fact, it is very clear from the evidence that the
10 condition of the fish is better after we built the gabion
11 and opened the pond so fish can get out if they are washed
12 in by flood.

13 H.O. BROWN: Mr. Cook.

14 MR. COOK: I believe the testimony both during this
15 particular hearing, this period of hearings, as well as the
16 1992 hearing is that this pond is directly connected to the
17 river; two, that the pond empties into the fish screens
18 which have been there for many, many years. I couldn't tell
19 you the date right at the moment. I think there has always
20 been -- when I said fish screen, I meant the fish ladders at
21 Daguerre Point Dam. I think there has always been an
22 outlet. And also, number three, I don't believe testimony
23 has been presented that fish going into the pond is a
24 problem. I think the testimony has been that fish going
25 through the gabion into the south canal is the problem.

1 Therefore, the existence of a pond, no matter how long
2 it has been there, since Daguerre Point Dam was originally
3 silted up, I don't think it has been in question during
4 these proceedings.

5 H.O. BROWN: Mr. Cook is reflecting my thoughts on
6 this, Mr. Minasian. What do you have to say about that?

7 MR. MINASIAN: I remember -- if it didn't register with
8 the Board -- that there was a complaint that during flood
9 periods juvenile fish were washed into the gabion structure
10 behind or in front of the gabion. If it didn't register
11 with the Board or staff that that was some sort of evil
12 condition then certainly there would be no need for
13 rebuttal testimony.

14 H.O. BROWN: That was part of the testimony during
15 flood flows washing over the gabion. So you're giving
16 rebuttal testimony to rebut what?

17 MR. MINASIAN: To rebut that the South Yuba or Brophy
18 Water District created any condition that exposed fish to
19 danger in flood conditions.

20 MR. FRINK: Could I ask a question, Mr. Brown?

21 H.O. BROWN: Sure.

22 MR. FRINK: Mr. Minasian, do you intend to introduce
23 all the detailed maps you have rolled up into the record?

24 MR. MINASIAN: No. What I intended to do so you
25 wouldn't have to carry these around was to explain that I

1 have made a copy of pages, and if anybody wanted to look at
2 portions of the pages which are aerial photographs before
3 construction of the South Yuba-Brophy Project, one can very
4 clearly see the pond and see no outlet and no gabion across
5 it.

6 Then one can compare the photograph of the gabion
7 contained within Yuba County Water Agency and common sense
8 at that point, I pray, would take over on that issue. So my
9 sole purpose is to identify the document, identify the
10 photographs and give everybody a copy of the excerpts.

11 H.O. BROWN: Mr. Frink.

12 MR. FRINK: I am still not sure it is within the proper
13 scope of rebuttal here, but I think it would be quicker to
14 let him do it then --

15 H.O. BROWN: Are there any objections to Mr. Minasian
16 presenting this evidence in rebuttal?

17 All right. Seeing none, I will swear you in, Mr.
18 Minasian.

19 (Oath administered by H.O. Brown.)

20 H.O. BROWN: Are you going to be represented by an
21 attorney?

22 MR. MINASIAN: I would have a fool for an attorney.

23 ---oOo---

24 //

25 //

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DIRECT TESTIMONY OF SOUTH YUBA WATER DISTRICT

BY MR. MINASIAN

MR. MINASIAN: Mr. Brown, Board Member staff, I serve as the acting secretary of the district and custodian of records at this time. That has been the case for approximately the period of 1982 to present time.

There was prepared in 1983 a set of plans and specifications, and the plans and specifications bear a date of 11/13/82. And this revision that we have here is 5/10/83. I of my own personal knowledge know that was before any construction was done either at the river or at the gabion or any other facility.

Sheet 3 and 4 are aerial photographs as engineers are apt to do. They will draw it out so a layman will understand where the facilities are going to be and what exists before the project.

I have made as Exhibit 7, and I'd ask it be marked as -- 6, I -- 7, the portion of the aerial from Sheet 3 and the second page is the study date, to give you the tab. That photograph shows the area where the gabion eventually was constructed. I also had the doubtful pleasure of going out there several times before the gabion was constructed. I can attest to you the pond with approximately its current dimensions existed before the gabion was constructed.

The gabion was installed in an east to west direction

1 across the center of the pond. I can also tell you that
2 there was no natural outlet to the pond except when water
3 conditions rose, flood waters or rising water levels would
4 raise the level in the pond and it would then flow across
5 the area between the river and the pond.

6 To the immediate south of the pond is a training levee
7 which is a man-constructed facility. And it is through that
8 training levee that pipes were constructed. Beyond the
9 training levee there is a small weir structure that has been
10 referred to by Mr. Cook as a dam. That was installed
11 specifically at the suggestion of Department of Fish and
12 Game as a way, when diversions started, to open the pipes,
13 open the dam and let fish, if there were any washed into the
14 pond in floods, wash down back into the river.

15 That is the end of our testimony.

16 H.O. BROWN: All right.

17 Cross-examination by anyone?

18 Mr. Cook.

19 ----oOo----

20 CROSS-EXAMINATION OF SOUTH YUBA WATER DISTRICT

21 BY MR. COOK

22 MR. COOK: Mr. Minasian, in addition to being keeper of
23 the records, you also have personal knowledge of this
24 particular area?

25 MR. MINASIAN: Yes, I do.

1 MR. COOK: I am looking at the copies that you
2 distributed, and the one at the top which shows the Yuba
3 River and Daguerre Point Dam. Daguerre Point Dam is shown
4 sort of at the left-hand side?

5 MR. MINASIAN: That's correct.

6 MR. COOK: I believe that -- you said, I think, this
7 aerial photograph was 1983?

8 MR. MINASIAN: The plans are dated 11/3/82. So we know
9 the aerial plans were taken before that date. But I do not
10 know where the original of these photos are.

11 MR. COOK: I think that I also see on this top
12 photograph the south canal. Did it exist at that time?

13 MR. MINASIAN: Well, may I answer it in this way?

14 MR. COOK: Certainly.

15 MR. MINASIAN: The South Yuba-Brophy Canal, as we
16 understand it, starts at the south end of the Goldfields
17 near the town of Hammonton. The channels that you are
18 seeing on this aerial photograph are basically created by a
19 dredger in our understanding during the course of the
20 development of the Goldfields.

21 MR. COOK: Let me ask this, then: What I see at the
22 lower portion of this photograph is a rather straight
23 line-type of canal with one bend in it on the lower right.
24 But that doesn't appear to be consistent with the other
25 dredger tailings in the Goldfields.

1 Was that constructed in order to provide an outlet of
2 water from the Yuba River to the south?

3 MR. MINASIAN: I have no knowledge of that. All I can
4 tell you is that this aerial photograph preexisted any sort
5 of construction by South Yuba-Brophy of a water conveyance
6 or regulatory project.

7 MR. COOK: I have another question. I'm having a hard
8 time finding on the top photograph what you refer to as the
9 pond. Am I just misreading this? Can you show me that?

10 MR. MINASIAN: Do you see the Daguerre Point Dam?

11 MR. COOK: Yes, I do.

12 MR. MINASIAN: This is the pond immediately to the left
13 and lower, towards the bottom of the page, that is the
14 gabion constructed across.

15 MR. COOK: That is north of the Yuba River; is that
16 right?

17 MR. MINASIAN: No.

18 MR. COOK: I see. Are we looking downstream on the
19 Yuba River rather than upstream?

20 MR. MINASIAN: We are looking as an eagle looks down on
21 the Daguerre Point Dam.

22 MR. COOK: Well, perhaps I am looking at it in a wrong
23 direction. So really the pond is at the lower left corner
24 of the --

25 MR. MINASIAN: Yes.

1 MR. COOK: At that time, you're right, there is no
2 south canal shown going out of that.

3 Can you tell from any photograph if there is no outlet
4 specifically to that pond?

5 MR. MINASIAN: Well --

6 MR. COOK: I have a hard time telling.

7 MR. MINASIAN: I can tell you that I was out there
8 before construction, and there was an outlet. There was a
9 slight swale that led towards the Daguerre Point Dam that
10 was dry during all but flood periods. I saw it dry.

11 MR. COOK: In flood periods the water went over the top
12 into this pond?

13 MR. MINASIAN: Right. Or the water rose up in the
14 pond.

15 MR. COOK: At the present time, if water would overtop
16 the gabion, it would also have to overtop the area between
17 the pond and the river?

18 MR. MINASIAN: That's correct.

19 MR. COOK: So, really other than the fact there is no
20 south canal here, the water on high flood flows in the
21 wintertime would go into that pond from the Yuba River?

22 MR. MINASIAN: Yes.

23 MR. COOK: And it would also at the present time, if
24 high enough, go over the top of the gabion?

25 MR. MINASIAN: That is correct.

1 MR. COOK: Your position, if I may ask again, is that
2 because the pond is there, that that obviates the problem
3 from the flood waters passing over this sort of a center
4 little island there and over the gabion? Does that make
5 sense?

6 MR. MINASIAN: So I don't argue the case in the answer,
7 Mr. Cook. If you would just -- my testimony would be, my
8 observation would be from the condition before and the
9 condition after construction, that if there was a flood and
10 if fish were in the flood water and they went into the pond
11 before the construction of the gabion, there would be no way
12 for them when the flood flow subsided to swim out of the
13 pond. But after the gabion was constructed, whether
14 deposited in front of the gabion or behind, there was a way
15 for them to swim out. That is the full extent of it.

16 MR. COOK: You are not talking, then, about the flood
17 -- during the existence of the flood flow; you are talking
18 about after the flood flows go down?

19 MR. MINASIAN: Right.

20 MR. COOK: That is all I have.

21 H.O. BROWN: Any other cross-examination?

22 Mr. Lilly.

23 MR. LILLY: I know we are a little out of order here.
24 I think one question might make it a little clearer, if I
25 can come in now. Otherwise I can do it later.

1 H.O. BROWN: Okay.

2 ----oOo----

3 CROSS-EXAMINATION OF SOUTH YUBA WATER DISTRICT

4 BY YUBA COUNTY WATER AGENCY

5 BY MR. LILLY

6 MR. LILLY: Mr. Minasian, just so we are oriented. In
7 the kind of lower center of Exhibit S-SYWD-7 there is the
8 phrase "Yuba" appears and then to the right it says "River."

9 Do you see that?

10 MR. MINASIAN: I do see that, Mr. Lilly.

11 MR. LILLY: The arrow just to the left of Yuba, is that
12 pointing downstream?

13 MR. MINASIAN: It is. Thank you.

14 MR. LILLY: Thank you.

15 H.O. BROWN: Mr. Gee.

16 ----oOo----

17 CROSS-EXAMINATION OF SOUTH YUBA WATER DISTRICT

18 BY DEPARTMENT OF THE INTERIOR &

19 U.S. FISH AND WILDLIFE SERVICE

20 BY MR. GEE

21 MR. GEE: Mr. Minasian, I am looking at this exhibit,
22 as yet to be marked, and looking at the second page. It
23 refers to Associates Planners Lakeport; is that right?

24 MR. MINASIAN: Yes.

25 MR. GEE: Were you employed by this company when this

1 was undertaken?

2 MR. MINASIAN: No. Employed by the principal, South
3 Yuba Water District.

4 MR. GEE: Did you take this photograph?

5 MR. MINASIAN: No.

6 MR. GEE: Thank you, Mr. Brown.

7 H.O. BROWN: Anyone else?

8 Any redirect?

9 MR. MINASIAN: No.
10 Thank you.

11 H.O. BROWN: Want to offer this into --

12 MR. MINASIAN: Yes, please, Exhibit 7.

13 H.O. BROWN: Exhibit 7. Are there any objections to
14 the acceptance of this exhibit into evidence?

15 Mr. Gee.

16 MR. GEE: Mr. Minasian may be the custodian of record.
17 He may testify this is in the records of the company that
18 holds these records. He is not qualified to state that this
19 is what -- this map is what it purports to be. Therefore,
20 it lacks foundation.

21 H.O. BROWN: Thank you, Mr. Gee.

22 Mr. Lilly.

23 MR. LILLY: Maybe I will help Mr. Minasian out as both
24 lawyer and witness at the same time. I believe Mr. Minasian
25 has established an adequate foundation. Even in courts

1 where the rules of evidence are more stringent than they are
2 before this Board, you don't have to have a photographer of
3 an exhibit to testify to it. It just has to be somebody to
4 testify that the exhibit is accurate.

5 Based on his personal knowledge of being out in the
6 field, I believe he has established an adequate foundation
7 for the accuracy of this exhibit.

8 H.O. BROWN: Thank you, Mr. Lilly.

9 Anyone else?

10 We will accept this into evidence.

11 The submission of closing statements for legal briefs.
12 Mr. Frink, 30 days?

13 MR. FRINK: Probably from the time the transcript is
14 expected to be available. If the parties had 30 days from
15 that period. Does that --

16 H.O. BROWN: The transcripts will be available when?

17 MR. MONA: Takes about two weeks.

18 H.O. BROWN: Let's say six weeks.

19 Mr. Cook, you rise.

20 MR. COOK: I am asking that closing statements be
21 deferred until a period of time after the transcripts are
22 available on the Internet for those of us that --

23 H.O. BROWN: We will do that -- let's set a reasonable
24 time.

25 MR. FRINK: Mr. Brown, I think our arrangement with the

1 Court Reporter that the Board is not to post the transcripts
2 on the Internet until 90 days after -- 60 days after they
3 become available. It is a prolonged period of time. So if
4 we were to do that, it would extend the proceeding out.

5 H.O. BROWN: Let's do it different than that, Mr.
6 Cook. How do we get Mr. Cook a copy of that and the rest of
7 the participants as quickly as possible?

8 MR. MONA: We do have an original copy of transcripts
9 available for anyone to come to the office and look at them
10 if they need to. Otherwise they would have to purchase a
11 copy.

12 (Discussion held off record.)

13 H.O. BROWN: We will give you three weeks, Esther.
14 Three weeks, they will be available from Capitol
15 Reporters. And after that we will give you four weeks. Is
16 that enough time?

17 MR. COOK: Yes. I think so. We already have on the
18 Internet through April 4th, in any event. It is a matter of
19 just the final transcript. I do have an additional
20 question, if I may.

21 I intended to after the lunch period to ask Mr. Mona if
22 it was possible to place the 1992 transcript on the
23 Internet. That is part and parcel of this particular
24 hearing. I don't know who has copies of the 1992
25 transcript. But if it is possible, I didn't intend to ask

1 this of Mr. Mona as part of this hearing. I don't think
2 there will be time afterwards to ask if it is possible to
3 get the 1992 transcripts on the Internet.

4 MR. MONA: It is possible if I can find an electronic
5 version of those transcripts. I don't think there is one.

6 (Discussion held off the record.)

7 MR. FRINK: I believe that predated our procedure of
8 getting the copies of the transcripts on disk.

9 H.O. BROWN: Do you have a copy of the written
10 transcript?

11 MR. COOK: Of 1992? No, I do not, Mr. Brown. It would
12 appear that the 1992 proceedings are, in fact, part and
13 parcel of this particular hearing. Quite often we have
14 referred back to testimony in the 1992 hearings. If it is
15 possible, I would request that. If it is impossible, of
16 course, or extremely difficult, then we will have to make
17 use of some other way.

18 H.O. BROWN: Let's take care of this first, then we
19 will take care of the schedule.

20 The transcripts from the 1992 hearing, are they
21 available?

22 MR. MONA: We have an original copy of them. It is
23 available for anyone to come in and look at them if they
24 wish.

25 H.O. BROWN: Can they make a copy?

1 MR. MONA: We can also send our original copy to
2 Brownies and charge them whatever the charges are to make a
3 copy.

4 H.O. BROWN: Does that work?

5 MR. COOK: I believe the reporter indicated that they
6 may have this on tape.

7 H.O. BROWN: No, it is not on tape.

8 MR. COOK: We can obtain copies if we have to.

9 H.O. BROWN: How many would like a copy of the 1992
10 transcripts that do not have them? Just two of them?
11 Everybody else has some?

12 So, we can send out those and have at least two copies
13 made, and then charge them for the copies of the transcript?

14 MR. MONA: They would have to make arrangement directly
15 with the reproduction company. And if they are willing to
16 pay the reproduction company, the company will make the
17 copies for them. We will be cut out of the loop.

18 H.O. BROWN: We don't have one that -- we don't want to
19 turn loose --

20 MR. FRINK: If you want to speak with Cathy Neise in
21 the Division of Water Rights files room and identify the
22 particular transcript that you would wish to have a copy
23 made of, she can send it out to Brownies and a copy made for
24 you.

25 H.O. BROWN: For the schedule for the written briefs,

1 seven weeks from Friday, give a date.

2 MR. FRINK: Mr. Lilly had a calendar.

3 MR. LILLY: My count is seven weeks from this Friday is
4 July 7th. To make a double check, I believe that is seven
5 weeks from this Friday.

6 H.O. BROWN: July 7th, that is on a Friday, at 5:00
7 p.m. That gives you three weeks, Esther, and four weeks for
8 review.

9 MR. COOK: Could I make one additional question?

10 H.O. BROWN: Absolutely, Mr. Cook.

11 MR. COOK: I have often wondered why the requirement at
12 the Water Board to submit documents is on Friday at 5:00
13 p.m., when really you are going into the weekend. I am not
14 sure anybody is going to be examining them. I would think
15 it would be more proper to allow one additional weekend,
16 until the Monday. Just seems like it would be simpler and I
17 don't think it would cause any inconvenience to the Water
18 Board.

19 H.O. BROWN: Not at all, Mr. Cook.

20 Is July 9th on a Monday?

21 MR. LILLY: July 10th.

22 H.O. BROWN: That was a test.

23 July the 10th, Monday, at 5:00 p.m., this hearing will
24 be closed.

25 At the conclusion, the State Board Water Resources

1 Control Board will take this matter under submission and the
2 parties who participated in the hearing will be sent notice
3 of State Water Board's proposed decision on this matter.

4 I would like to thank all of you for your
5 professionalism and courtesy and attention that you have
6 spent to this hearing. It has been long and hard for all of
7 us. I think you all had a chance to say whatever you wanted
8 to say, and that was the purpose.

9 Thank you very much and this hearing is adjourned.

10 (Hearing adjourned at 12:25 p.m.)

11 ---oOo---

12

13

14

15

16

17

18

19

20

21

22

23

24

25

